

1 SOAH DOCKET NO. 952-13-5210

2 LOST PINES GROUNDWATER CONSERVATION DISTRICT

3
4 APPLICATION OF END OP, L.P.) STATE OFFICE OF
5 FOR WELL REGISTRATION,)
6 OPERATING PERMITS, AND)
TRANSFER PERMITS) ADMINISTRATIVE HEARINGS

7
8
9
10
11 HEARING ON REMAND

12 Friday, November 7, 2014

13
14
15
16 BE IT REMEMBERED THAT at 9:00 a.m., on
17 Friday, the 7th day of November, 2014, the
18 above-entitled matter came on for hearing at the
19 Bastrop County Courthouse Annex, 804 Pecan Street,
20 Bastrop, Texas; before MICHAEL O'MALLEY,
21 Administrative Law Judge, and the following
22 proceedings were reported by Lou Ray, Certified
23 Shorthand Reporter.
24
25

APPEARANCES

FOR THE APPLICANT:

Mr. Russell S. Johnson
McGINNIS LOCHRIDGE & KILGORE, LLP
600 Congress Avenue, Suite 2100
Austin, Texas 78701
Telephone: 512.495.6074 - Fax: 512.505.6374
email: rjohnson@mcginnislaw.com

-- AND --

Ms. Stacey V. Reese
STACEY V. REESE LAW, PLLC
815-A Brazos Street, PMB 226
Austin, Texas 78701
Telephone: 512.212.1423
email: stacey@reeselawpractice.com

FOR LOST PINES GROUNDWATER CONSERVATION DISTRICT GENERAL
MANAGER:

Ms. Robin A. Melvin
Mr. David P. Lein
GRAVES DOUGHERTY HEARON & MOODY
401 Congress Avenue, Suite 2200
Austin, Texas 78701
Telephone: 512.480.5688 - Fax: 512.480.5888
email: rmelvin@gdhm.com
dlein@gdhm.com

FOR AQUA WATER SUPPLY CORPORATION:

Mr. Michael A. Gershon
LLOYD GOSSELINK ROCHELLE & TOWNSEND, PC
816 Congress Avenue, Suite 1900
Austin, Texas 78701
Telephone: 512.322.5872 - Fax: 512.472.0532
email: mgershon@lglawfirm.com

1	TABLE OF CONTENTS	
2		PAGE
3	PROCEEDINGS, FRIDAY, NOVEMBER 7, 2014	10
4	PRESENTATION ON BEHALF OF APPLICANT	
5	END OP, L.P.	11
6	PAUL D. THORNHILL	
7	- Direct (Reese)	11
8	AFTERNOON SESSION	123
9	PRESENTATION ON BEHALF OF APPLICANT	
10	END OP, L.P. (CONTINUED)	123
11	PAUL D. THORNHILL	
12	- Cross (Melvin)	123
13	- Redirect (Reese)	155
14	- Recross (Melvin)	164
15	JOSEPH J. BEAL	
16	- Direct (Johnson)	166
17	- Cross (Melvin)	192
18	PROCEEDINGS CONCLUDED	204
19	REPORTER'S CERTIFICATE	205

1	EXHIBIT INDEX		
2	APPLICANT - END OP, LP	MARKED	ADMITTED
3	51. Applicant End Op, L.P.'s designation of Expert Witnesses	11	48
4	52. Immediate Need for Water - TWDB Population Projections - Travis and Williamson Counties	11	47
5	53. TWDB population projections Travis and Williamson Counties Portions Only	11	47
6	54. 2016 Regional Water Plan, Municipal Water Demand Projections for 2020-2070 in acre-feet for Cities, Utilities and County Other by Region, County and River Basin	11	47
7	55. Total Demand by County from 2011 and 2016 Planning Projections	11	47
8	56. Travis and Williamson Counties Municipal Demand Municipal Use - WUG's in Travis and Williamson Counties with Wholesale Customers	11	47
9	57. Top 17 WUG's Ranked by 2070 Demand	11	47
10	58. TWDB Projections of Water Demand in Travis and Williamson Counties	11	47
11	59. TWDB Bastrop and Lee County Demand Projections	11	47
12	60. Drought Impact on Texas Surface Water	11	47
13	61. Texas Drought per Drought Monitor	11	47
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1	EXHIBIT INDEX		
2	APPLICANT - END OP, LP	MARKED	ADMITTED
3	62. Texas map showing Lake Capacities	11	47
4	63. Texas, Climate Division 6, PDSI, January-December	11	47
5	64. Texas Climate Division 6, Precipitation, January-December	11	47
7	65. Texas Climate Division 6, Maximum Temperature, January-December	11	47
8	66. U.S. Climatological Divisions	11	47
9	67. Austin, Texas Precipitation, January-December	11	47
10	68. Austin, Texas Average Temperature, January-December Climate at a Glance	11	47
12	69. Total Combined Storage in Lakes Buchanan and Travis (1940-2014)	11	47
14	70. Combined Storage of Lakes Buchanan and Travis (1/1/2005-1/1/2014)	11	47
15	71. Daily Lake Buchanan Elevations	11	47
16	72. Daily Lake Travis Elevations	11	47
17	73. Highland Lakes Storage (LCRA Plot)	11	47
18	74. Colorado River Basin Reservoirs	11	47
19	75. O.H. Ivie Reservoir is 15.7% full as of 2014-10-25	11	47
20	76. Lake Buchanan is 35.6% full as of 2014-10-25	11	47
21	77. Lake Travis is 32.3% full as of 2014-10-25	11	47
22	78. Spence/Thomas/Fisher/Twin Buttes Storage	11	47
23			
24			
25			

1	EXHIBIT INDEX	
2	APPLICANT - END OP, LP	MARKED ADMITTED
3	79. USGS Lake Meredith nr Sanford, TX - lake elevation plot Drought and Groundwater AARO Presentation June 4, 2014 CRMWA/Lake Meredith Facts Lake Meredith Photo	11 47
6	80. Major Reservoirs Upstream of Lake Buchanan	11 47
8	81. Reservoirs Upstream of Lake Buchanan	11 47
9	82. Colorado River nr San Saba, Texas	11 47
10	83. Austin Water Utility Dates (plot of Highland Lake Inflows)	11 47
11	84. Cumulative Inflows to Lakes Buchanan and Travis	11 47
13	85. Modeling Drought Response Strategies (Richard Hoffpauir study for Austin Water Resources Planning Task Force, June 25, 2014)	11 47
16	86. Change in Reservoir Firm Yield due to Ongoing Drought	11 47
18	87. Draft Comparison of SAWS/Vista Ridge to COA/Recharge Vista Ridge Project SAWS July 25, 2014 Vista Ridge Regional Supply Project Water Transmission and Purchase Agreement between SAWS and Abengoa Vista Ridge Vista Ridge Water Supply Contract SAWS September 22, 2014	11 47
23		
24		
25		

1	EXHIBIT INDEX		
2	APPLICANT - END OP, LP	MARKED	ADMITTED
3	88. Estimates of Cost of Water	11	47
4	89. Cedar Park FY 2015 Water Costs	11	47
5	90. Round Rock FY 2015-2016 Water Costs	11	47
6	91. Leander FY 2015 Water Costs	11	47
7	92. City of Austin Water Utility Budget 2011-2013	11	47
8	93. City of Austin Water Utility Budget 2011-2013 and Water Sales	11	47
9	94. Cost Summary, 46,000 ac-ft/yr to COA Tank on Hwy 290 Using Original Route	11	47
10	95. Potential Budget Impact to Austin of Using Groundwater Potential Budget Impact to Austin of Using Groundwater (expanded) Official Statement (source document)	11	47
11	96. City of Austin Water Cost if Use Groundwater	11	47
12	97. City of Austin Water Cost Without and With Groundwater	11	47
13	98. City of Austin Percentage Rate Increase Above Projected Rates if Use Groundwater	11	47
14	99. City of Austin Water Use	11	47
15	100. City of Austin Water Use with End Op and LCRA overlay	11	47
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1	EXHIBIT INDEX		
2	APPLICANT - END OP, LP	MARKED ADMITTED	
3	101. Austin Total Water Utility		
4	Costs/1000 Gal	11	47
5	102. City of Austin Treatment Cost	11	47
6	103. Water Supply (pages 57-60 of		
7	LCRA's August 2014 Board		
8	meeting agenda book)	11	47
9	104. Does LCRA have water to sell		
10	today?	11	47
11	105. LCRA's Projected Supplies,		
12	Commitments, Demands (from		
13	2000 to 2100) (page 40 from		
14	LCRA Water Supply Resources		
15	Plan)	11	47
16	106. LCRA's Water Suppl Resources		
17	Plan October 2010 (page 22-		
18	Supplies to Meet Future		
19	Demands)	11	47
20	107. Aqua WSC's Portion of projected		
21	Future Water Demands in Bastrop		
22	County		
23	About Aqua Water Supply Aqua		
24	Service Area Map	11	W'DRWN
25	108. "By the Numbers"	11	W'DRWN
	109. Williamson County Commissioners		
	Court Resolution	11	192

EXHIBIT INDEX

GM - LPGCD GENERAL MANAGER

MARKED ADMITTED

*5. 2011 Brazos G. Regional Water
Plan, Volume 1 Excerpts

10 131

6. 2011 Brazos G Regional Water
Plan, Volume 2 Excerpts

10 131

7. 2016 Brazos G Regional Water
Plan Municipal Water Demand
Projection

10 131

8. 2011 Region K Water Plan
Volume 1 Excerpts

10 131

9. 2016 Region K Muni Water
Demand Projections

10 131

* There is a duplication of the use of the number 5
between the Hearing on the Merits and the Hearing
on Remand

1 P R O C E E D I N G S

2 FRIDAY, NOVEMBER 7, 2014

3 (9:00 a.m.)

4 (Exhibit Applicant End Op Nos. 51 through
5 108 marked)

6 (Exhibit GM Nos. 5 through 9 marked)

7 JUDGE O'MALLEY: Good morning. Today is
8 Friday, November 7, 2014. We're in Bastrop, Texas.9 We're here today for the remand hearing in Docket
10 No. 952-13-5210, Application of End Op, LP, for Well
11 Registration, Operating Permits and Transfer Permits.12 My name is Michael O'Malley. I'll be the
13 Administrative Law Judge presiding, and I'll take
14 appearances of the parties. Let me begin to my left
15 here, and we'll just go down the tables.16 MR. GERSHON: Yes, Mike Gershon with the
17 law firm of Lloyd-Gosselink on behalf of Aqua Water
18 Supply Corporation.

19 JUDGE O'MALLEY: Thank you.

20 MR. LEIN: David Lein and Robin Melvin
21 from Graves Dougherty Hearon & Moody on behalf of the
22 Lost Pines General Manager.

23 JUDGE O'MALLEY: Thank you.

24 MS. REESE: Stacey Reese with Stacey V.
25 Reese Law, PLLC, and my Co-Counsel Russell Johnson of

1 McGinnis Lochridge --

2 JUDGE O'MALLEY: Thank you.

3 MS. REESE: -- on behalf of the applicant.

4 JUDGE O'MALLEY: Let's go off the record.

5 (Discussion off the record)

6 JUDGE O'MALLEY: Okay. Off the record the
7 parties indicated that they waived opening statements.
8 Is that correct?

9 MR. LEIN: That's correct.

10 JUDGE O'MALLEY: And we're ready to move
11 to evidence. So we will begin with End Op and your
12 direct case.

13 MS. REESE: Your Honor, End Op calls
14 Mr. Paul Thornhill.

15 (Witness Thornhill sworn)

16 JUDGE O'MALLEY: Please be seated.

17 WITNESS THORNHILL: Test one, two, three.

18 (Laughter)

19 JUDGE O'MALLEY: Go ahead, Ms. Reese.

20 PRESENTATION ON BEHALF OF THE APPLICANT

21 PAUL THORNHILL,

22 having been first duly sworn, testified as follows:

23 DIRECT EXAMINATION

24 BY MS. REESE:

25 Q Mr. Thornhill, please state your full name for

1 the record.

2 A Paul D. Thornhill.

3 Q Do you have any relation -- are you related to
4 Mr. Mike Thornhill of Thornhill Consulting, Inc.?

5 A Not at all. A mere coincidence.

6 Q Is a true and correct copy of your CV in
7 Exhibit 51?

8 A I do not have the exhibit.

9 MS. REESE: One second, please. Let the
10 record reflect that I've handed Mr. Thornhill End Op's
11 exhibit binder with Exhibits 51 through 108 and also a
12 copy of the GM exhibit binder.

13 Q (BY MS. REESE) Is this a true and correct copy
14 of your CV, Mr. Thornhill, contained within Exhibit 51?

15 A Yes.

16 Q Tell us about your degrees and licenses?

17 A I received a bachelor of science in civil
18 engineering from University of Texas at Austin in 1971,
19 I received an MBA from the University of Texas at Austin
20 in 1991, and I'm a registered professional engineer in
21 the State of Texas.

22 Q When did you obtain your engineering license?

23 A About 1977.

24 Q If you look on Page 4 of Exhibit 51 where your
25 CV is, does that list your employment history?

1 A Yes.

2 Q And so you've had quite a bit of experience
3 working as an engineer throughout your career. Why
4 don't you tell us about your experience at the Texas
5 Water Rights Commission back in the '70s. What was the
6 nature of your work there?

7 A When I first got out of school, I went to the
8 Water Rights Commission, which is the predecessor to the
9 current TCEQ. My main function was to perform water
10 availability analyses for surface water supply permit
11 applications and also to perform dam safety analyses.

12 Q What is Espey? After you left the Texas Water
13 Rights Commission, you went to Espey. What is that?

14 A Espey, Huston & Associates was a mid-size
15 engineering firm that eventually had nationwide offices.
16 I worked there as an engineer then as a vice-president.
17 When I left, basic consulting for public and private
18 clients.

19 Q What was the nature of the work that you did
20 while you were there?

21 A Me personally, I continued to work on various
22 water resource projects for public and private clients.
23 I was also a part of the management team managing the
24 firm.

25 Q Did you conduct any reservoir feasibility

1 studies during your time there?

2 A Yes, I did.

3 Q Did that includes a project for the
4 Guadalupe-Blanco River Authority and the Upper Guadalupe
5 River Authority?

6 A Yes, those were two of our clients.

7 Q And they are located in what part of Texas?

8 A The Guadalupe River Basin, the next basin west
9 of here. Both of them are in that basin.

10 Q In connection with conducting your engineering
11 services and studies over the years, did you regularly
12 publish reports that were relied upon by your clients
13 and used in proceedings similar to today's?

14 A Yes.

15 Q Tell us about your experience at LCRA. After
16 you left Espey, you went to CH2M and then -- which, by
17 the way, what was your work like at CH2M? Similar to
18 the work at Espey?

19 A Yes, CH2M Hill was a much larger national and
20 now international consulting firm. I was there for
21 about nine years as I recall, again performing basic
22 water types of projects myself, as well as participating
23 in the management of the firm. I was a vice-president
24 there, too.

25 Q And then you moved on to LCRA, the Lower

1 Colorado River Authority. Could you tell us what LCRA
2 is or does?

3 A LCRA is an entity created by the state
4 Legislature back in the '30s. They essentially manage
5 all the Highland Lakes, including the dam that creates
6 Lake Austin, which they don't own but they operate for
7 the City of Austin. They also generate electricity,
8 perform various transmission services for electric
9 transmission, manage parks, do water quality sorts of
10 things.

11 Q And it looks like you moved up the ranks at
12 LCRA. Tell us briefly the positions that you held there
13 and the nature of your work there.

14 A I was -- when I first came in, I was chief
15 engineer of what was called WaterCo at the time, which
16 was the entire water side of LCRA. I was promoted to
17 the manager of WaterCo, about two years later is my
18 recollection, which was essentially the responsibility
19 for all the staff and all the facilities of all the
20 Highland Lakes, all the hydroelectric generation, all
21 the irrigation districts, all the water and wastewater
22 utilities. I'm sure I left something out, but it was
23 basically the entire water side of LCRA.

24 Q And who was your boss when you were at LCRA?

25 A I reported directly to Mr. Beal, Joe Beal, who

1 is sitting here.

2 Q When you were working at LCRA, did you -- did
3 the nature of your work include experience -- any
4 experience in rates or establishing rates?

5 A Yes.

6 Q What about risk management?

7 A Yes. The final couple of years I was the chief
8 risk officer for all of LCRA, including the electrical
9 generation and transmission.

10 Q And what does that mean, "risk officer"?

11 A Essentially, the way I interpreted it and the
12 function I performed, was to look at all the activities
13 of the organization, cause there to be an evaluation of
14 the risks that those activities faced, and then to
15 develop or implement plans to ameliorate those risks as
16 best we could, everything from rate risk to chance of a
17 power plant catching on fire.

18 Q During your time at LCRA, did you negotiate
19 water supply contracts and particularly a contract with
20 SAWS?

21 A Yes.

22 Q And tell us what SAWS is.

23 A SAWS is the -- San Antonio Water System is the
24 acronym. They essentially provide all of the water and
25 wastewater services or -- I assume it's all. It might

1 be just predominant share of water and wastewater
2 services -- to San Antonio in the Bexar County area.

3 Q Did you participate in the negotiation of any
4 groundwater rights during your time at LCRA?

5 A Yes, we purchased a couple of very significant
6 groundwater rights.

7 Q Did you -- were you involved in negotiating the
8 details --

9 A Excuse me. Excuse me. You said "groundwater."
10 I'm sorry. I was thinking of surface water. I did
11 participate in the purchase of a groundwater option to
12 drill 20 wells on the property of Pierce Ranch. That
13 was -- as far as I know, that was the only groundwater
14 purchase that I was directly involved in.

15 Q Thank you for clarifying for the record.

16 Did you -- were you involved in
17 negotiating any deals with the City of Austin for a
18 long-term water supply?

19 A Yes, I was.

20 Q So you retired from LCRA back in 2008.
21 Correct?

22 A Yes, August of 2008.

23 Q And what have you been doing since you -- since
24 you retired?

25 A Well, besides working in my garden, I have

1 created an engineering company called Paul Thornhill
2 Engineering, and I use that as the vehicle to perform
3 various consulting assignments. When people approach me
4 and ask me to be involved in projects, I evaluate them
5 and decide whether I will. So I've been working part
6 time basically since 2008.

7 Q Have you ever given expert testimony?

8 A Yes, I have.

9 Q And in what types of proceedings and what was
10 the nature of your testimony?

11 A When I was at the Water Rights Commission is
12 the first time I ever gave testimony. I probably
13 testified in -- I don't know -- 25 or 30. I guess they
14 were similar to what we're doing today, but they were
15 directly in front of the Commission in those days. They
16 were -- when someone asked for a permit, there would be
17 a hearing in front of the three Commissioners. I
18 testified on behalf of the staff, the Executive
19 Director.

20 When I left there and began consulting, I
21 was -- as a result of the studies I was doing, I was
22 asked to sometimes defend those studies in an
23 administrative proceeding or a court. So I testified in
24 federal court a couple of times. I think it's state
25 district court in Kerrville. I'm not sure of the title

1 of that court, and I would guess probably -- I don't
2 know -- a half dozen times.

3 Q Have you testified before the Texas
4 Legislature?

5 A Yes, in the form of either the Senate or House
6 Natural Resources Committee. I can't remember which.
7 Maybe both. I testified regarding aquifer storage and
8 recovery as a technology that Texas should consider.

9 Q And have you been an expert -- admitted as an
10 expert in a court of law on surface water?

11 A Yes.

12 Q Have you been admitted as an expert in a court
13 of law on groundwater?

14 A Yes.

15 Q Given your education, your prior employment,
16 particularly at LCRA, and the Texas Water Rights
17 Commission and your recent resulting work, do you
18 consider yourself to be an expert in the Texas water
19 resources industry?

20 A Yes, I do.

21 Q Do you consider yourself to be an expert in
22 long- and short-term water supply planning, evaluations
23 and permitting?

24 A Yes.

25 Q Do you consider yourself to be an expert in

1 water feasibility studies, water supplies and project
2 management?

3 A Yes.

4 Q What about water supply contract negotiations?

5 A Also.

6 Q Do you consider yourself to be an expert in the
7 cost of various regional water supplies?

8 A Yes.

9 Q Is the expertise in this industry the reason
10 you were retained as an outside consultant in connection
11 with the End Op project?

12 A I believe so.

13 Q And tell us when you were engaged on the End Op
14 project.

15 A It's my recollection that last fall, about a
16 year ago, maybe 13 or 14 months ago, I was approached by
17 some folks with an entity called Cap Rock to perform due
18 diligence as they considered participating in some form
19 in the End Op project. That was it.

20 Q Was it your understanding that the Cap Rock
21 group was interested in becoming an investor in the End
22 Op project?

23 A Not until much later, and I've never been asked
24 to be an investor. They asked me would I be interested
25 in being a participant once they had make the decision

1 to go ahead and invest in the project.

2 Q I asked you a slightly different question,
3 Mr. Thornhill. I was -- I was asking you what was the
4 purpose of Cap Rock engaging you? Was it to evaluate
5 the feasibility of the project because they were
6 considering becoming an investor in End Op?

7 A I'm sorry. Yes, they -- that was my
8 understanding. I was working specifically for -- it was
9 called Cap Rock. I understand that to be a group of
10 investors. I don't know much about the details of what
11 they are.

12 Q Okay. So you said that you conducted some due
13 diligence. Did that work involve identifying potential
14 buyers of the End Op water?

15 A Yes.

16 Q Did that work involve analyses of how much it
17 would cost End Op to provide delivered water making
18 certain assumptions?

19 A I'm sorry, could you repeat the question?

20 Q Sure. Did that work involve evaluating the
21 cost for End Op to deliver water?

22 A Yes.

23 Q Did your work involve the analysis of the
24 availability of the groundwater in the Simsboro?

25 A Yes.

1 Q And why did you study that?

2 A In order to understand was there sufficient
3 water to supply the 46,000 acre-feet that's subject to
4 this hearing.

5 Q And what did you conclude when you evaluated
6 the availability of the groundwater in the Simsboro?

7 A That there is a lot of water under Lee and
8 Bastrop counties within this district and much more than
9 what we were requesting or the sum of all the other
10 requests that have been received.

11 Q How were you compensated during this due
12 diligence period when Cap Rock engaged you?

13 A In the due diligence period, I had an
14 arrangement where I was paid \$250 plus expenses for my
15 activities.

16 Q And ultimately did Cap Rock decide to invest in
17 the End Op project?

18 A Yes.

19 Q And what was your role in the project once they
20 became an investor?

21 A They asked me to continue to consult with them,
22 to continue to be a part of the project, and also began
23 asking me would I be interested in participating in the
24 project.

25 Q Okay. How have you been compensated and by

1 whom since you completed your due diligence?

2 A Beginning in about March of this year, the
3 checks that I received in payment have been from an
4 entity called End Op, so I'm assuming I'm being paid by
5 End Op.

6 Q And you had testified earlier that March was
7 around the period of time in which you completed your
8 due diligence?

9 A Yes. I mean, I think that's the time that the
10 actual purchase by Cap Rock into the End Op project
11 occurred, and after that we moved forward as End Op, not
12 Cap Rock.

13 Q And what was the purpose of you continuing on
14 after you completed the due diligence?

15 A In essence the -- I would summarize it as a
16 continuing need to perform evaluations, to answer
17 questions, to basically point it towards being able to
18 market this water if permits were achieved.

19 Q And are you continuing to be compensated at
20 \$250 an hour by End Op?

21 A Yes.

22 Q Have you received any other compensation in
23 connection with your outside consulting role?

24 A No.

25 Q Have you been offered any other compensation in

1 connection with your outside consulting role?

2 A Yes.

3 Q And what is that?

4 A About June, May or June is my recollection, the
5 partners of -- or what I call the partners, the group of
6 individuals that I'm working with, asked if I would be
7 interested in a participatory share of 2 percent of some
8 part of the project. I'm not sure exactly what the
9 details would be. We've talked about it back and forth.
10 But as we sit here today, that has not been consummated.
11 I've not agreed to it. And, frankly, I'm not sure what
12 the offer is.

13 Q All right. Are you taking on any other role
14 other than as an outside consultant for End Op?

15 A Yes.

16 Q And what is that role?

17 A They've asked me to fill the position of chief
18 executive officer for a -- doing business as business
19 extension of End Op, which is called Recharge, and I've
20 agreed to that. So in addition to my engineering firm
21 today, I am the CEO of an organization called Recharge.

22 Q And approximately when did you become the CEO
23 of Recharge?

24 A About a month ago.

25 Q And how are you being compensated in your role

1 as CEO?

2 A No different. There is no special
3 compensation. I continue to bill the hourly rate that I
4 previously had, and we're -- I assume that we'll
5 continue to talk about the 2 percent participation, and
6 that's all as far as I know.

7 Q Okay. Is the offer to have an interest in the
8 project, other than as an outside consultant on an
9 hourly basis or in your role as CEO of Recharge,
10 contingent upon your testimony here today?

11 A No.

12 Q So in other words, End Op didn't say they would
13 revoke this offer of interest if you didn't testify in a
14 certain manner today?

15 A Correct; they did not.

16 Q Is this expertise that you've testified to, is
17 this the expertise that you rely on to provide your
18 testimony here today?

19 A Yes.

20 Q And the subject matters and the specifics of
21 your testimony, are they outlined in Exhibit 51,
22 specifically Paragraphs 2 and 3 under the designation of
23 experts of Exhibit 51?

24 A Yes.

25 Q Okay. So these are the -- the topics that you

1 intend to give opinions on today. Correct?

2 A Yes.

3 MS. REESE: Your Honor, End Op tenders
4 Mr. Thornhill as an expert on the matters identified in
5 Paragraphs 2 and 3 on Exhibit 51.

6 JUDGE O'MALLEY: Are there any objections
7 to Mr. Thornhill being designated as an expert?

8 MR. LEIN: No, Your Honor.

9 JUDGE O'MALLEY: Okay. Mr. Thornhill will
10 be so designated.

11 Q (BY MS. REESE) Did you prepare a report in
12 connection with your testimony today?

13 A No, I did not.

14 Q Why not?

15 A There simply wasn't time.

16 Q Did you prepare a written report in connection
17 with the due diligence that you conducted on the End Op
18 project?

19 A No, I did not.

20 Q I think it would be helpful for the court,
21 because you didn't provide a written report, for us to
22 do a quick overview of the opinions that you intend to
23 provide today. Is that okay with you?

24 A Yes.

25 Q As you understand it, Mr. Thornhill, what are

1 the issues on remand in this proceeding?

2 A The -- I forget the exact wording, but it's
3 basically the need for additional water over a 5-year
4 period and a 30-year period.

5 Q And actually it's --

6 A I guess the wording is beneficial use is what
7 I'm remembering, the beneficial use for water over the
8 5-year period and the 30-year period.

9 Q Does the amount of groundwater put to a
10 beneficial use during the 5- and 30-year period sound
11 familiar to you --

12 A Yes.

13 Q -- in terms of what you were asked to evaluate?

14 A Yes. I read the language, but I just -- I'm
15 sitting here and I just can't remember exactly what it
16 said.

17 Q No problem.

18 Tell us what "beneficial use" means to
19 you.

20 A To me, you know, "beneficial use" is a
21 definition that's contained in the Water Code that says
22 if a use falls within the categories that the Water Code
23 describes, municipal, irrigation, industrial, mining and
24 some others, that if the use falls within those
25 categories, it is deemed to be beneficial use.

1 Q Is it your opinion that End Op intends to put
2 the water to a beneficial use?

3 A Yes.

4 Q And what use is that?

5 A Municipal.

6 Q A public water supply in other words?

7 A Public water supplies are usually municipal.
8 They might have some power or something, but usually
9 that's municipal, yes.

10 Q What is your understanding, based upon the
11 remand questions, of exactly what it is that you were
12 directed to do? Is it to determine whether or not the
13 water will be put to a beneficial use, or is it to
14 determine a specific amount that will be put towards --
15 to a beneficial use during a specific time period?

16 A What I was asked to do is do both, essentially
17 look at the remand question, as I understood it, and
18 then also to develop the information about the actual
19 need for water during those time periods.

20 Q Is the need to demonstrate a particular amount
21 of water in a 5- or 30-year period a requirement under
22 Texas law to obtain a permit as far as you know?

23 A No.

24 Q Nonetheless, how did you go about determining
25 an amount in a 5- and 30-year period?

1 A I went to the data that's publicly available on
2 the Water Development Board website regarding regional
3 planning, and I downloaded a bunch of data and
4 information and basically did some calculations using
5 that data.

6 Q Did you analyze the population -- projected
7 population growth?

8 A Yes, I did.

9 Q Did you analyze projected water demand
10 growth --

11 A Yes.

12 Q -- based upon population?

13 A Yes, I did.

14 Q Did you review anything else or analyze any
15 other information?

16 A Regarding the specific demands, that was the
17 source of my data. I also looked at the risks
18 associated with continuing reliance on the existing
19 water supplies. I also looked at costs, would our
20 ability to deliver water be cost effective compared to
21 what my understanding of the potential customers'
22 current costs were and then some other things along
23 those lines.

24 Q You made a distinction between the term
25 "demand" and what you were asked to do. Could you

1 explain why you were careful about using the word
2 "demand"? What do you mean by that?

3 A "Demand" is simply the term of art that I use
4 to describe a customer or a user's water use. It's the
5 full amount of their use, it's the growth in their use.
6 It's all these issues associated with their use. So
7 when I use the word "demand," I'm not trying to
8 distinguish between the remand language. I believe
9 they're essentially the same concept.

10 Q Did you form an opinion in conducting your
11 analysis on what the appropriate horizon for planning
12 for water is?

13 A Well, I think I had an opinion before this if
14 that's, yeah, what you're asking. The -- to me, the
15 appropriate quote-unquote horizon is at least 30 or 40
16 years, better 50 years, which is what the state has
17 adopted, 50 to 55 years, that's what they've adopted in
18 the regional planning. But when I was at LCRA, I
19 recommended to the General Manager and the Board and we
20 unofficially adopted a 100-year planning horizon. We
21 were entering into contacts with customers, such as the
22 City of Austin, that would last a hundred years, and so
23 I thought the only responsible way to plan for that kind
24 of need was to also plan our water supplies for a
25 hundred years. So my opinion, a hundred years is the

1 appropriate level, but I can understand why shorter
2 terms might be used by others.

3 Q Shorter terms such as 50 --

4 A No. In a municipal use, I think 30 years is
5 the absolute minimum for long-term planning, essentially
6 coinciding with the duration of the debt that might be
7 taken out in order to pay for a project.

8 Q Do you have an opinion on the population growth
9 and the water demand growth in Travis and Williamson
10 Counties?

11 A Yes.

12 Q And what is that?

13 A Based on the information that has been put out
14 over the last 15 years or so by the Water Development
15 Board, I see continuous projections of growth. And
16 every time they update them, they continue to say it's
17 still going to grow beyond the current planning horizon
18 in terms of both population and the conversion of that
19 population into water demands. Both will continue to
20 grow at a fairly rapid rate.

21 Q Do you have an opinion about how End Op's
22 project could fulfill that project growth in demand?

23 A Yes.

24 Q What is your opinion?

25 A I believe that a project like ours or our

1 project specifically where we're -- if we obtain the
2 permits, we would have 46,000 acre-feet, would be
3 considered as a very attractive alternative or
4 replacement for current water supplies amongst many
5 potential customers in Travis and Williamson County.
6 And I think fundamentally the water would be provided in
7 such a manner that it would be -- those entities would
8 want to use all of that water from day one if they
9 decided to go into this kind of project.

10 Q In connection with analyzing the population in
11 demand growth in projected water demand, have you
12 identified any potential customers or users for the End
13 Op project?

14 A Yes.

15 Q And who are those?

16 A After looking at the information that I looked
17 at, I identified four municipal users, City of Austin,
18 Round Rock, Cedar Park and Leander, as well as LCRA as
19 being potential customers.

20 Q And would LCRA actually use the water
21 themselves?

22 A If LCRA were the customer, they would not use
23 the water themselves. Their role is to be a wholesaler
24 and intermediary between the water supplies and the
25 customers. So, no, they would not. They have a

1 de minimis amount of use at various facilities, like
2 watering the grass at the general operation complex.
3 But generally what they do is they sell their water on
4 to the retail user.

5 The four entities that I mentioned, the
6 four cities, are all retail customers or all -- excuse
7 me -- firm water customers of LCRA, so that the chain
8 would be the water could either flow directly to those
9 customers or flow through LCRA to them. Both are valid.

10 Q And the potential customers that you mentioned,
11 those four municipalities, what is their current source
12 of water supply? It's being provided by LCRA in part.
13 Could you tell us more specifically about that?

14 A In Austin's case, essentially 100 percent of
15 Austin's water comes from the Colorado River. Legally
16 part of it comes under water rights that the City owns
17 apart from LCRA, but it's all from the same physical
18 source, the Colorado River and the Highland Lakes.

19 In the case of Round Rock, Cedar Park and
20 Leander, they all have contracts with LCRA, but they
21 have other sources, for example, with Brazos River
22 Authority, and some of them even have a few wells of
23 their own.

24 Q In connection with the work that you performed
25 for your testimony today, have you opined on the risks

1 or uncertainties associated with relying on surface
2 water supplies?

3 A Yes.

4 Q And what opinions have you formed?

5 A My opinion is that we are either right on the
6 cusp of or are currently in a Drought Worse than the
7 Drought of Record. And that based on that, the
8 reliability of the firm yield supply from the Highland
9 Lakes is going to be reduced, and that provides a risk
10 to customers or to LCRA regarding how much water they
11 can assume will continue to be available on a firm yield
12 basis from that supply. The ongoing drought basically
13 has created an issue that I think will call that whole
14 question very, very soon.

15 Q So what would a user of primarily surface water
16 do when they're faced with such an ongoing drought as,
17 in your opinion, we're experiencing?

18 A I think they would do what they've done
19 historically and what I've seen them do. First they
20 would go to their supplier, which up until a few years
21 ago was me. They would say, "What are you going to do
22 to solve this problem if the firm yield of your lakes is
23 less than what you thought? What projects would you
24 bring to bear that would supplement your water supply
25 such that I can continue to receive the water from you

1 that I have contracted for, and how much are those
2 projects going to cost me?"

3 I would also, if I were that customer,
4 independently go evaluate could I develop additional
5 sources or supplies on my own that would be either
6 complimentary to or more cost effective or both to my
7 continued use of the water from LCRA.

8 Q And what kinds of alternative or supplemental
9 supplies would be reviewed or considered?

10 A Well, clearly the subject of today's
11 proceeding, additional groundwater or adding groundwater
12 as a source if you didn't already have it, but also you
13 might look at other off-channel reservoirs commonly
14 before you get to the step of trying to go to a new
15 physical project. You would also look at conservation
16 and reuse and those various strategies.

17 Q Is groundwater -- is groundwater more resistant
18 to drought than surface water?

19 A I believe it is.

20 Q How so?

21 A The fundamental difference is surface water
22 stored in a reservoir or flowing down a river is subject
23 to evaporation, so you lose quite a bit of that water to
24 evaporation. Water stored underground is essentially
25 zero loss. And so there's some other minor issues, but

1 fundamentally it's the difference in evaporation between
2 the two sources.

3 Q Have you opined on the current cost of water
4 for these potential customers that you've identified?

5 A Yes.

6 Q Have you opined on the costs for End Op to
7 deliver water to these particular customers?

8 A Yes.

9 Q And what did you conclude?

10 A I believe we can deliver water to Cedar Park,
11 Leander, Round Rock and Austin and LCRA at rates that
12 will be attractive to them when I compare what they are
13 currently spending to develop their current water
14 supplies.

15 Q Have you opined on the prerequisites necessary
16 before a potential buyer will enter into a long-term
17 water supply agreement?

18 A Yes.

19 Q And what do you believe those prerequisites to
20 be?

21 A The shorthand that I have used, and I'll share
22 it here, is if people came to me at LCRA and asked me
23 would I be interested in purchasing water. I would ask
24 three fundamental questions. I would say, "Do you have
25 the leases? Do you have the permission and legal right

1 from the ground" -- excuse me -- "from the landowners
2 who actually own that water to come to me and offer me
3 that right? Show me the leases."

4 The second question I would ask is, "Do
5 you have the permits, or what is the status of your
6 permitting with the groundwater district or districts
7 that would control access to that water?" And third,
8 "Can you tell me the price of your water? How much is
9 it going to cost?" And those three fundamental
10 questions, that's essentially what the dialogue boils
11 down to.

12 Q In connection with your due diligence, did you
13 evaluate those factors that you consider prerequisites
14 to enter into a long-term water supply agreement?

15 A Yes.

16 Q And what did you conclude when you analyzed the
17 groundwater lease rights?

18 A At the time I first began the due diligence,
19 the agreement between End Op and the landowners was in
20 the form of an option. It's my understanding that
21 there's now been a conversion to the full lease status
22 for 42 of the 46 landowners, and we're still working on
23 the last four. So the leases are in place for 42 of
24 the 46. Options are in place for the other four.

25 Q And is it your understanding that before we got

1 to this proceeding today that the district had deemed
2 End Op's applications administratively complete?

3 A Yes.

4 Q And in connection with doing so, is that an
5 analysis of whether or not End Op has the right to
6 construct wells in connection with the project?

7 A You mean right from the district or --

8 Q Rights themselves from the private landowners?

9 A Oh, yes. Yes, they have agreements in place
10 that allow them to put wells on these landowners'
11 property.

12 Q When did you first learn about the End Op
13 project? Was it when you were asked to conduct due
14 diligence on behalf of Cap Rock?

15 A No. I -- I believe -- and I would say that
16 Mr. Limmer came to see me at LCRA years ago before I
17 left in the early stages of this project and described
18 what he was doing, and would I at LCRA be interested in
19 this water. And I asked him the three questions that I
20 just elaborated on, "Do you have leases? Do you have
21 permits? What's the cost?" He couldn't provide that
22 information to me, and I think that was essentially the
23 first time that I heard of this project.

24 Q For those who don't know, tell us who
25 Mr. Limmer is.

1 A Frankie Limmer is -- my understanding is the --
2 well, he's one of the former partners. I don't know who
3 all the partners are of End Op, but he was to me the
4 spokesperson for End Op at the time I met with him.

5 Q Do you have an opinion on the most efficient
6 way to contract for water supplies?

7 A Yes.

8 Q And what is that opinion?

9 A Well, I think the most efficient way is to what
10 I call baseload, which is that you would purchase the
11 full amount, some amount that would last a very long
12 period of time. You would not look at it piecemeal.
13 And if you could avoid it, you would, for example in our
14 case, lease the water, purchase the water, all 46,000
15 acre-feet, for a period of 30 or 40 years. That way you
16 can plan for, and the development costs of delivering
17 and treating that water are the most economical.

18 Q Is that consistent with the need to obtain
19 long-term financing to complete such a project or
20 construct such a project?

21 A Yes, that's part of it, and that's usually the
22 primary driver in costs. You at least want to enter
23 into contracts with folks such that your revenue stream
24 matches your debt service stream so that you can assure
25 the bondholders that you will be able to pay them.

1 That's 30 or 40 years usually, depending on where and
2 how you sell the bonds. Many contracts, though, go much
3 longer than that, like the contract we did with the City
4 of Austin when I was at LCRA, 100 years.

5 Q What impact, if any, does the five-year permit
6 term have on a project like End Op's and the ability to
7 sell 46,000 acre-feet?

8 A If I were a customer of this water and what
9 I've been working on trying to provide an answer for is
10 the question that if you're saddled with a five-year
11 permit term, what does that mean in terms of your
12 ability to renew that permit and what are the risks that
13 that brings to me? Fundamentally I want to see, as a
14 customer, long-term permitting in place, 30 years or
15 more. And so I would have a lot of questions. If --
16 well, I would have a lot of questions about it as a
17 customer.

18 Q Have you studied the renewal permitting process
19 in connection with End Op's permits at Lost -- pending
20 at Lost Pines?

21 A I have read the rules. I've never been
22 involved in a permit renewal with them.

23 Q And what is your understanding of how the
24 renewal works?

25 A I'm not sure. I think that what would happen

1 is if the permit was fixing to expire, that there would
2 be a reapplication, and you'd have to go through this
3 whole process again.

4 Q In contracting -- in contract negotiations, you
5 said you would have questions as a buyer. Do you think
6 that that would deter a buyer from entering into a
7 contract for the full 46,000 acre-feet?

8 A Yes. If the five-year term carried with it a
9 much smaller amount, based on what I understand the
10 remand question to be, then, yes, as a customer I'm
11 going to say, "Wait a minute. You only got a permit for
12 X. I want to buy Y. How can you deliver Y to me," you
13 know, the larger volume. You asked for 46 and you only
14 got whatever it was. So it's -- it's very important.
15 Again, because as a customer, I'm going to be looking at
16 my long-term costs for my total system, not just the
17 next five years.

18 Q Are you familiar that End Op has committed to
19 pay for the potential financial impacts on existing
20 users in the Simsboro?

21 A Yes.

22 Q And in the projections of costs that you have
23 prepared today, is the mitigation costs embedded within
24 those costs?

25 A Yes.

1 Q From a buyer's perspective, is that a good or a
2 bad thing?

3 A Pretty much it's a good thing.

4 Q Why so?

5 A Because it removes one of the issues that
6 would -- I'm sure would come up in discussions, and that
7 is there might be objections, there might be impacts,
8 what have you done to mitigate those impacts. As far as
9 I know, the agreement that we have is the only such
10 arrangement that I'm aware of in a proceeding like this.

11 Q Have you studied the details of SAWS -- you
12 mentioned earlier, the San Antonio Water System? Have
13 you studied the details of their development
14 activities --

15 A Yes.

16 Q -- in connection with forming your opinions?

17 A Yes, I have.

18 Q And what have you studied specifically?

19 A Specifically most recently I looked at the
20 contract that SAWS is -- SAWS and an outfit called Vista
21 Ridge have entered into that was approved by the SAWS
22 board and by the city council within the last couple of
23 weeks. I call it the Vista Ridge contract.

24 Q And why did you review that?

25 A That contract -- well, fundamentally because it

1 was available. I could get to it because they did a
2 fairly unique negotiation process where it was all done
3 in public, and they've posted the results of their
4 negotiations on the website. So I could go there and
5 get the actual contract.

6 Second, because of the way that contract
7 is structured, it provides a very interesting and I
8 would say almost unique approach to a buyer and a seller
9 agreeing on terms. And so I wanted to understand what
10 that approach was so that I could basically see if it
11 applied to our project or could apply to our project.

12 Q And what did you conclude?

13 A I concluded that this is a -- fundamentally
14 a -- to me will set the gold standard going forward
15 because it is a very good contract for both parties. I
16 believe the concepts embedded in that contract have
17 direct applicability to the End Op project ability to
18 deliver water to Austin or Round Rock or whomever. And
19 so I think it's a very useful go-by.

20 I also know that if I were a potential
21 customer of End Op, one of the first questions I would
22 ask is, "Well, SAWS did this. Explain how your project
23 would relate to the method SAWS and Vista Ridge used,"
24 and so I needed to be ready to do that.

25 Q What is the method that they used for -- what

1 is "innovative"? You used that term earlier about that
2 particular contract.

3 A Well, the innovation is that -- two things.
4 One, it was done in public, which is fairly -- I don't
5 know of any other like that. But I think more
6 importantly on the terms of the contract, it was the
7 mitigation of risk to both parties that's embedded in
8 the terms. Fundamentally SAWS has agreed to pay for the
9 physical delivery of water or the ability to have water
10 physically delivered to them in Bexar County. So SAWS
11 has no ownership until the past 30 years of any other
12 pipelines or wells.

13 Having Abengoa, which is one of the -- the
14 Vista Ridge group which includes a company called
15 Abengoa, have agreed to develop all the entirety of the
16 project in return for a guarantee of payment. So in
17 essence both parties have said if the water is
18 deliverable or is actually taken by SAWS, Abengoa will
19 get paid. And embedded in that is the concept that for
20 certain expenses, which are subject to inflation like
21 energy and O&M, SAWS agrees to pay those as a
22 pass-through cost at their actual cost.

23 In essence what they've done in this
24 arrangement is remove almost all of the risk to both
25 parties because they're predefining who is going to pay

1 for what, they're predefining that the energy and O&M
2 can actually increase in cost as energy prices go up in
3 the future. And so that reduced the risk to both
4 parties. They know what their costs are going to be as
5 they go into this, and all that is on their website and
6 in this contract that I pulled.

7 Q And contrast with -- that with what is the
8 typical water -- long-term water supply agreement.

9 A Typically -- although there are some
10 variations, typically if I were a water user, I would go
11 find the water myself, buy the water from the source of
12 supply, build the water plants, build the pipelines,
13 build the pump stations, build them and own them myself
14 and embed -- essentially take all the risk for that.

15 In this case, Abengoa, or the Vista Ridge
16 consortium, has agreed to make the initial investment in
17 return for a contract that says they will be paid. In
18 some entities, like if I bought my water from LCRA like
19 Austin and these others do, LCRA has incurred the cost
20 of creating the supply, and they set a raw water rate,
21 which as a user I go to them and say I want to buy raw
22 water from you, but I'm still responsible for treating
23 it and delivering it to a pipeline to my end users. So
24 that's sort of a combination as opposed to a totally
25 stand-alone project.

1 Q Obviously you're familiar with LCRA's water
2 supplies given your tenure there. Have you kept abreast
3 since you retired from LCRA?

4 A I've tried to.

5 Q And what are your conclusions with regard to
6 LCRA's long-term water surface supply?

7 A I believe that the supply that I'm familiar
8 with, when I was there, is at risk due to the ongoing
9 drought and the probability that we're already in a
10 Drought Worse than the Drought of Record. I'm also
11 essentially pleased to see that LCRA has moved forward
12 with the concept of constructing an off-channel
13 reservoir downstream in Wharton County. It's very
14 similar to a concept that I worked on for years when I
15 was there.

16 Also, LCRA has, for the first time, begun
17 to look at investing in groundwater supplies,
18 specifically the Lake Bastrop property that LCRA owns
19 around the Bastrop power plant. They apply it to the
20 Lost Pines district for well permits and have received
21 them. And as far as I know, that's the first major
22 groundwater project they've engaged in.

23 Q Have you opined on the possible production
24 amounts in the future for End Op water if permits are
25 obtained?

1 A Could you ask the question again?

2 Q Sure. Do you have an opinion about the amount
3 of water that End Op could sell if it obtained permits?

4 A Yes.

5 Q And what is that opinion?

6 A I believe we could sell all of it on the first
7 day that the water could be delivered.

8 Q And, Mr. Thornhill, in forming these opinions
9 that you've summarized for us, did you review, rely upon
10 and/or prepare Exhibits 52 through 106?

11 A I relied on them, in part, and I prepared them
12 all.

13 MS. REESE: Thank you. Your Honor, End Op
14 moves to admit Exhibits 52 through 106.

15 JUDGE O'MALLEY: Okay. Are there any
16 objections?

17 MR. LEIN: No objection.

18 MR. GERSHON: No objection.

19 JUDGE O'MALLEY: Thank you. End Op's
20 Exhibits 52 through 106 are admitted.

21 (Exhibit Applicant End Op Nos. 52 through
22 106 admitted)

23 MS. REESE: And actually, Your Honor, I
24 move to admit 51 as well.

25 JUDGE O'MALLEY: Okay.

1 MS. REESE: Thank you.

2 JUDGE O'MALLEY: Any objections?

3 MR. GERSHON: No, Your Honor.

4 MR. LEIN: No, Your Honor.

5 JUDGE O'MALLEY: End Op Exhibit 51 is
6 admitted.

7 (Exhibit Applicant End Op No. 51 admitted)

8 MS. REESE: And for the record, I'd like
9 to note that End Op has withdrawn Exhibit 107.

10 JUDGE O'MALLEY: Okay. We will note that
11 for the record, that End Op Exhibit 107 has been
12 withdrawn. And that takes care of Aqua's objection.
13 Correct?

14 MR. GERSHON: It does. Thank you.

15 JUDGE O'MALLEY: Thank you.

16 Q (BY MS. REESE) All right. Mr. Thornhill,
17 let's delve into the details of these opinions and what
18 you've reviewed and relied upon and the assumptions you
19 made in forming your opinions.

20 A Okay.

21 Q Do you need to take a break, or are you okay?

22 A No, I'm fine.

23 Q Okay. You just let me know if you need to take
24 a break.

25 A Okay.

1 Q You testified earlier that the appropriate
2 planning horizon for water is somewhere upwards of 50
3 years. Tell us a little bit more about why you have
4 that opinion.

5 A Longer is better. Because it takes so long to
6 develop projects, to obtain the permits and the
7 financing, to construct them and get them into
8 operation, that the longer term you can have is better.

9 Also, as I stated, the financing is
10 usually 30 to 40 years. So at a minimum that would be
11 the length of a project once it's built. But you have
12 lead time you need to add on to that to get it going.
13 50 years, for example, which the state has adopted,
14 would carry it beyond -- if you knew of a project today
15 that you might need at the end of that 50-year period,
16 you could begin the planning and the processing to get
17 it underway.

18 If you were only planning for 30 years in
19 the future, then by definition you don't know what's
20 going to happen in the 31st year or you've put blinders
21 on about it. It's just not a good way to go about it.

22 Most entities that I'm aware of have
23 participated in and adopted the 50-year to 55-year
24 planning horizon that the Texas Water Development Board
25 is currently using. The exception would be both the

1 City of Austin and LCRA, to the extent we entered into a
2 hundred-year contract.

3 Q Is looking at an amount in, say, for example, a
4 five-year period, an amount used within the incremental
5 five-year period, is that consistent with your opinion
6 about the appropriate horizon for water planning?

7 A No.

8 Q Could you please explain?

9 A Well, fundamentally if I'm going to look five
10 years in the future, that's a little bit of water that
11 really doesn't solve my problem at all. I need to look
12 50 years or more in the future in order to do a
13 cost-effective planning process and be able to
14 understand what my water is going to cost and where I'm
15 going to go to get it. I don't know of anyone, anywhere
16 who uses a five-year planning process for water supply.

17 Q Do you know of an instance in which a user
18 attempted to contract for an incremental need within a
19 five-year period?

20 A I'm sorry, repeat the question.

21 Q Sure. Do you know of any instance in which a
22 user attempted to contract for an incremental amount
23 which was needed within a five-year period?

24 A Well, in an emergency situation, if I were --
25 if I had a pump break or a pipeline burst or a dam fail

1 in my system, I might go somewhere else and buy water
2 for five years to fill in in an emergency. But in terms
3 of -- as soon as I got that fixed, I'd go back to my
4 prior status. So I -- that would be the only
5 circumstance that I could foresee.

6 Q You testified earlier that the first step in
7 identifying a water demand is to analyze and consider
8 population growth and the projections and how they
9 impact water demand growth. Did you analyze any
10 population growth in Travis and Williamson Counties?

11 A Yes.

12 Q And is that demonstrated in Exhibit 52?

13 A Yes.

14 Q So what does Exhibit 52 tell us about the
15 population projections for Travis and Williamson
16 Counties?

17 A Well, for the county totals, if you look across
18 the top -- top two lines of the graph, the data would
19 indicate that there's a significant growth. You can
20 compare decades -- these numbers are basically decade by
21 decay from the Water Development Board. So between 2020
22 and 2070, Travis County's population is going to go up
23 by about 60 to 70 percent. The Williamson County
24 population is projected to almost triple in the same
25 50-year period.

1 Q And if you look at the 2015 to 2020 increase
2 column on this table, how did you derive that
3 information if the population projections are made in
4 decades?

5 A Because these projections are made on the even
6 decades, to get the five-year period from 2015 to 2020,
7 I had to estimate the 2015 numbers. So I simply
8 averaged the 2010 and 2010 -- excuse me -- 2020 numbers,
9 then I subtracted that average from the 2020 number, and
10 that gives the 2015 to 2020 increase column, which is
11 the fourth one over basically.

12 Q So is the bottom line, if you wanted to just
13 look at the increase in projected population from 2015
14 to 2020 for both counties, is that number demonstrated
15 the 246,849?

16 A Yes.

17 Q Okay. Did you graph this information?

18 A Yes.

19 Q Is that what's on Exhibit 53?

20 A Yes.

21 Q You have, I see, in the middle of Exhibit 53,
22 two projections. Why don't you tell us what you did
23 here.

24 A Are you referring to the graph?

25 Q Correct.

1 A All right. In the middle of the page, there's
2 a colored graph. Yes, the -- in essence, the top two
3 lines, the green line and the blue line, are the Travis
4 County projections from the year 2000 to the year 2070.
5 The bottom two lines are the Williamson County
6 projections from the year 2000 to 2070. The reason
7 there's two lines for each is that they -- in the case
8 of the top two lines, I'll use that as an example to
9 explain it.

10 The blue line are the projections that
11 were made for the 2011 regional water planning process,
12 which was finalized in 2011, the water plan issued and
13 that's the current water plan today as we stand. The
14 Water Development Board, however, has issued the
15 population and demand projections for the next round,
16 which is ongoing right now, which will terminate in
17 2016.

18 So to read the graph that -- you see the
19 label 2011 Travis, which is the blue line, then look at
20 the label for the green line is 2016 Travis. All that
21 is is an undate by the Water Development Board based on
22 their current underring of what the populations are
23 going to be. And if you look on the right-hand side,
24 you can see the green line goes one more decade because
25 in the -- in this round, they are extending the whole

1 planning process by 10 years. And every other time they
2 do a plan, they extend it another 10 years into the
3 future. That maintains a minimum 50-year planning
4 horizon.

5 Q And when you look at -- and the ones on the
6 bottom, the purple and the yellow, those are Williamson
7 County. Correct? The purple and the red.

8 A The purple and the red, yes.

9 Q And when you look at the trends that are
10 depicted here, what does that tell you?

11 A It tells me that just what I said from the
12 prior exhibit, from the table. The bottom line, the
13 projections have been and continue to be that both
14 county's populations will continue to grow fairly
15 rapidly. And, in fact, as they've updated the
16 projections, compared to five years ago, they think it's
17 going to grow even more than what they previously
18 thought. And that's why the two curves -- you know, the
19 current curves are higher than the prior curves.

20 Q You prepared information on the bottom of
21 Exhibit 53 for a major -- the major WUG population.
22 What does "WUG" stand for?

23 A "WUG" is water user group. It's an acronym
24 used by the Water Development Board planning process.

25 Q And why did you track the population grown

1 specific to particular users?

2 A Again, in thinking about who the potential
3 customers might be, I didn't want to just rely on the
4 county total. I wanted to look and see what Austin,
5 Cedar Park, Leander, in fact Georgetown and a number of
6 others when I first started, but the purpose is to track
7 the -- essentially as I began to focus on those four
8 entities, what were their demands going to be.

9 Q Okay. And so the next step is to actually take
10 those population projections and see how they translate
11 to water demand productions?

12 A Correct.

13 Q And is that what is demonstrated on
14 Exhibits 54, 55 and 56?

15 A 55 and 56 show that. 54 is -- well, I think
16 the answer to your question is "yes."

17 Q Okay.

18 A Let's stop there.

19 Q Thank you.

20 So Exhibit 54 is just sort of the raw
21 data. Is that correct?

22 A Correct. And that was the distinction I was
23 going to make. This is -- this is an example of when I
24 go to the website and download this massive spreadsheet
25 and then sort the data by county and by water user

1 group, which are the second and third columns of this
2 table, this is the data you get for the 2020 to 2070
3 decades. So if you look at the bottom of the page, the
4 sum of those columns is down there at the very bottom.
5 This is simply the raw data that I used from here on
6 out.

7 Q Okay. And the tables in 55 and 56 basically
8 graph the raw data. Is that correct?

9 A Correct.

10 Q So let's look at Exhibit 55. You want to tell
11 us how to read this?

12 A It's very similar to the other graph. This is
13 total demand by county, so this is everything. This is
14 municipal, industrial, irrigation, mining, all of -- all
15 uses. The upper two graphs are for Travis County. The
16 lower two are for Williamson County. I duplicated the
17 numbers at the bottom. It might help read the graph.

18 Q Okay. And is the trend that you saw with
19 regard to population, that when the 2016 numbers came
20 out they were higher than the 2011, is that trend
21 apparent here when you look at the water demand growth?

22 A Yes, it's perhaps not as dramatic, but you can
23 see, for instance, in the top two the gray line is
24 slightly above the blue line. So five years after they
25 made the projections, they made them again and they were

1 higher than what they did before.

2 Q Okay. If you look at the table at the bottom,
3 how do we calculate what the total demand is then for
4 Travis and Williamson County for 2020?

5 A Well, you go to the column entitled 2020 at the
6 bottom and you add -- the ones I would use is the 2016
7 Travis of 291,000 and the 2016 Williamson of 121,000
8 that add -- you need to add those together, and that's
9 about 410,000.

10 Q Okay. Did you do any graphing just strictly
11 with municipal demand, the demand that End Op is going
12 to provide the water for?

13 A Yes.

14 Q And is that on Exhibit 56?

15 A Yes.

16 Q So you read this chart very similarly to the
17 previous one. Correct?

18 A Yes. I expanded this one a little bit. As I
19 was noticing that the projections changed, I thought,
20 well, what did they project back in 2006. So this chart
21 has three planning projections on it, 2006, 2011 and the
22 current 2016 projected demands. You essentially read it
23 in the same way. You can see the differences between
24 the demands made at the different planning periods, and
25 you can see that in the latest round they've extended to

1 the year 2070. Before they stopped at the year 2060,
2 but now they're going all the way to 2070.

3 Q Is the same trend that we have been seeing when
4 the new projection come out apparent -- consistent on
5 this chart as well?

6 A I'm sorry, could you ask it again?

7 Q When the 2016 numbers came out, are they higher
8 than what the 2011 projections are?

9 A Not -- not always. For example, if you look at
10 the -- let me be sure I'm answering you right. Yeah,
11 the -- this is just municipal. This is not total
12 demand. So if you look at the upper chart, in the
13 year 2060, the gray line is the 2011 demand, the blue
14 line -- or excuse me -- the source of the gray line is
15 the 2011 demand projections. The blue line is below
16 that. So unlike what we've seen in some of the other
17 graphs, they're projecting a slightly lower municipal
18 demand as they updated the demands.

19 Q And into the future, the demand is continuing
20 to grow. Correct?

21 A Correct.

22 Q So how much is the total municipal demand in
23 Travis and Williamson County for 2020?

24 A Well, again, you go to the column labeled 2020
25 and I would use the 2016 numbers, which are the bottom

1 two rows. Yes, that's right, the bottom two rows. So
2 228,000 plus 112,000 more or less, so 340,000 --

3 Q Okay.

4 A -- approximately.

5 Q What does that tell you when you compared it to
6 the total demand that we just looked at on the previous
7 exhibit?

8 A It's the, by far and away, the largest share of
9 the total demand. I think the total demand was north of
10 400,000, this is 300,000, so it's about three-quarters
11 of demand.

12 Q Okay. Have you conducted any analysis relative
13 to a user's demand in terms of percentage of growth?

14 A Yes.

15 Q Is that what you can see in Exhibit 57?

16 A Yes.

17 Q And this is called 20 Municipal WUGs, and
18 you've ranked them. Why did you rank them by 2070
19 demand?

20 A Simply as a matter of convenience. I was
21 curious as to if I looked at the total demand at the end
22 of the planning period, in other words, the farthest in
23 the future that I had numbers, who was going to grow and
24 by how much? So I simply took the raw data for each of
25 these 17 water user groups, sorted and stacked it based

1 on the column that's headed 2070 from largest to
2 smallest and essentially allows me to assess how much
3 water each of them might need at the end -- you know,
4 during and at the end of this 50-year period.

5 Q And so if you look at the column -- the
6 second-column-to-last column on the right, that is in
7 acre-feet, the growth in demand from 2020 to 2070 in
8 acre-feet?

9 A Acre-feet per year, yes.

10 Q And then the furthest right-hand column is the
11 actual percentage of growth during that time period?

12 A Yes, it's -- for example, to read that column,
13 the 74 percent calculation is the column just to the
14 left of that, 121,000 divided by the 2020 demand of
15 165,000. So that's how the table works.

16 Q And so was it a coincidence that the potential
17 customers that you have identified are listed at the top
18 of this table?

19 A Not at all. This table and others led me to
20 those customers.

21 Q Okay. And so what does this tell you about the
22 demand for Austin, Round Rock, Leander and Cedar Park,
23 the four potential customers that you've identified?

24 A Well, the easiest way other than the fact that
25 their demands are growing -- and I'll make an exception

1 to that in the second. Look at the second-to-last
2 column, the 2020 to 2070 growth in demand.

3 Austin from 2020 to 2070 is projected to
4 grow by 121,000 acre-feet, more or less, in demand.
5 What that means is a project like ours would only be a
6 small part of their current or future demands if you
7 look at it from an incremental basis for the next 50
8 years.

9 When I looked at Round Rock, Leander and
10 Cedar Park, Round Rock and Leander -- Round Rock is
11 39,000 acre-feet, Leander is 34,000 acre-feet in round
12 numbers, those are smaller amounts over the next 50
13 years than the amount we are requesting from the
14 district for our permits. But if you combine the two of
15 them, they obviously exceed the amount.

16 The reason I looked at combining them is
17 all of these entities -- all four of these entities take
18 their water from the Highland Lakes. Cedar Park,
19 Leander and Round Rock are all participants in a
20 regional water treatment and delivery system called the
21 Brushy Creek Regional Utility Authority. And so
22 providing water to one of them my benefit the other, and
23 I think it's very likely that a combination of one or
24 more of these customers would be a very likely customer.

25 The exception that I spoke about a second

1 ago, if you look at Cedar Park, which is the sixth row
2 down, you know, the sixth row down, the total demand
3 over the next 50 years was only 2,000 acre-feet,
4 about 9 percent. Cedar Park is landlocked from an
5 expansion perspective. There's other entities all the
6 way around it.

7 Pretty much if you look at the water
8 demands across time, you should have fairly constant,
9 a little bit of rise as they do infill. And what this
10 tells me is that Cedar Park alone may not be as strong
11 a candidate to be a customer as the others. They may
12 still be because they share facilities with the others,
13 but that's what I got from this table. It
14 essentially -- the high probability customers remain
15 Austin, Round Rock and Leander. Cedar Park is still a
16 potential customer, especially if you group them
17 together, but it's probably not as high or not as likely
18 that they would be a customer as the other three.

19 Q Okay. If you took this project to the city --
20 the End Op project to the City of Austin, how do you
21 think they would evaluate End Op's project?

22 A I think they would ask the same three questions
23 I asked, "Do you have leases? Do you have permits, and
24 can you provide a price?" They'd want to know how much
25 water we could deliver, at what point in time, at what

1 price.

2 Q You testified earlier that, in your opinion,
3 it's not appropriate to look at an incremental need in a
4 five-year period for purposes of water planning or
5 contracting. But nonetheless, did you actually
6 calculate a demand growth for the 2015 to 2020 years?

7 A Yes.

8 Q And is that what is on Exhibit 58?

9 A Yes.

10 Q So tell us what the bottom line is about this
11 information that you've compiled here.

12 A Based on my understanding of what the remand
13 question was and how it might be answered explicitly, I
14 took the -- actually this table shows all demands, but
15 the one -- the rows that I relied upon are only the
16 municipal. So the top series of rows is Travis County,
17 the next one is Williamson, the bottom series of rows is
18 the combined total.

19 So if you look at the combined municipal
20 row -- and I'm sorry, the rows aren't numbered -- is
21 about the 15th one down, but that first row under
22 combined, you see there the calculations by decade -- or
23 excuse me -- the projections by decade and also my
24 calculations of the 2015 and then the 2015 to 2020
25 increase, as well as over on the right-hand side the

1 2045 to 2050. I had to calculate the 2045 column
2 because, again, it was an odd decade. And I thought it
3 would be easier to read -- maybe it's not -- but I
4 pulled the numbers down into the smaller table at the
5 bottom to reflect, I think, what would be a technical,
6 literal response to what I understand the remand to be.

7 Q So if you look at the five-year municipal need
8 total for 2015 to 2020, that's the 339,704 number.
9 Correct? It's very small numbers, I understand.

10 A Yes, the -- and that comes from right above
11 that. That column you'll find all four numbers that
12 we're fixing to talk about are in the row labeled
13 Combined Municipal going across the page.

14 Q Okay.

15 A So I just copied them down to the bottom to
16 highlight them.

17 Q So this is every user in Travis and Williamson
18 County of municipal -- for municipal use, the demand
19 between -- in that five-year incremental period is
20 approximately 340,000 acre-feet? Is that how you read
21 that?

22 A I believe that's the need five years from now,
23 not the incremental. That's the total need of all users
24 five years from now, not the incremental need.

25 Q And so --

1 A The next row is the incremental need.

2 Q The 31,510 --

3 A Correct.

4 Q -- acre-feet?

5 A Correct. That's -- if you look in the
6 municipal -- well, yes, the answer to your question is
7 "yes."

8 Q And so that is less than the 46,000 acre-feet
9 that End Op is asking for?

10 A Correct.

11 Q In your opinion, does that mean that End Op
12 only needs a permit for 31,510 acre-feet?

13 A No.

14 Q Why not?

15 A Again, for the reasons we've been talking
16 about, the normal planning horizon goes all the way out
17 to 2070 or beyond for all of these entities, all of whom
18 are participants in this regional planning process.

19 I believe that our project, because of
20 the -- essentially the risk that the current supplies
21 are placed under by the current drought, plus our
22 ability to deliver an economically attractive
23 alternative to them, that these customers would look
24 kindly upon the full amount and, in fact, might even ask
25 us why we couldn't deliver more.

1 Q So is it your opinion that the 31,510 acre-feet
2 is not representative of the amount that End Op would be
3 able to contract for?

4 A Correct. I think we could sell a lot more to
5 one or more of these entities.

6 Q And then if you look at the 30-year out
7 numbers, specifically the incremental demand from 2015
8 to 2045, that number -- do you have an opinion about
9 that number as compared to the volume of End Op's use?

10 A Essentially it's almost ten times what we've
11 requested. If you look -- as I understand the remand,
12 the 30-year number was for the export permit. And the
13 demand in just the next 30 years, the incremental
14 demand, the increase in demand, is 450 -- 451,000, you
15 know, roughly ten times what our permit request is.

16 Q Okay. You testified earlier, Mr. Thornhill,
17 that you thought that we were in the worst drought of
18 record. Is that correct?

19 A Yes, that's what I think.

20 Q Have you prepared any exhibits demonstrating
21 and supporting this opinion?

22 A Yes.

23 Q And are those Exhibits 60 through 86?

24 A Yes.

25 Q Okay. So let's take a look at Exhibit 60.

1 What does this tell us about the drought?

2 A What 60 is is a snapshot in time of about --
3 looks like a couple weeks ago -- of the status of
4 drought in Texas. This is available off the TCEQ
5 website. It says Drought Impact on Surface Water
6 because it comes from the TCEQ website, but this is a
7 commonly used graphic to display the extent and severity
8 of drought.

9 Essentially anything on -- just to explain
10 how you look at it, anything that is not colored, all
11 the white area, means there's no drought using the
12 methods they use to compute a drought, no drought in
13 existence. But anything that's colored, yellow, orange,
14 red or brown, means some sort of drought exists. And
15 the darker the color, the dark brown is the most extreme
16 drought.

17 Q And this is a snapshot in time. Correct?

18 A Correct.

19 Q And are there different kinds of droughts?

20 A Yes.

21 Q Can you tell us a little bit more about that?

22 A Well, depending on what academic you talk to,
23 there could be hundreds of kinds of droughts. But I
24 boil them down, and I think the generic use of droughts,
25 is you can have a -- a precipitation drought where you

1 simply have reduced precipitation and people are
2 measuring the fact that the rainfall this year is less
3 than it was last year or something like that.

4 You can also have an agricultural drought,
5 I would call it, where farmers and those dependent on
6 soil moisture measure the soil moistures and are very
7 concerned about that because you could have a -- well, I
8 won't explain.

9 And then the third kind of drought is the
10 one that I think is most pertinent to this discussion,
11 and that is if you are an owner of reservoirs and you
12 are dependent on the water stored in those reservoirs,
13 once the water level in the reservoirs begins to fall,
14 you never know if they're going to -- you never know if
15 they're going to go empty or not, and so you're
16 constantly monitoring the status of your reservoirs, and
17 I would call that a hydrologic drought.

18 Q And what causes a drought?

19 A Fundamentally, drought is a result of reduced
20 precipitation. Higher temperatures result, which also
21 drive up demands, and things like that happen. But
22 fundamentally, a drought is reduced precipitation.

23 Q Are there impacts on the availability of
24 surface water in times of drought or as a result of
25 drought?

1 A Yes.

2 Q And what are those impacts?

3 A In essence, if you picture a raindrop falling
4 onto the ground and running off into a river and that
5 river then feeding into a lake, if it doesn't rain, that
6 doesn't happen, so the lake level falls. It reduces
7 inflows -- which is the term of art -- reduces inflows
8 to the rivers and/or storage reservoirs that are
9 available to capture those inflows.

10 Q Are there any other impacts on the availability
11 of surface water?

12 A In a drought you mean or --

13 Q Well, you talked about -- so let's take a step
14 back. You talked about inflows being reduced when
15 there's no rain or less rain into the lakes and the
16 rivers. And then when there's less inflows in there,
17 what ultimately ends up happening in those lakes and
18 those rivers?

19 A Well, the lake levels fall, which is what --
20 I'm sorry if I didn't say that. The impact is that like
21 on the Highland Lakes, or Lake Travis and Lake Buchanan,
22 if the inflows are reduced, that means there's not as
23 much water coming in to make up for evaporation and
24 releases and uses by customers, the lake levels begin to
25 fall. That's certainly what we're seeing today. If it

1 rains and floods a lot, the lakes stay full, and you're
2 generally not in a drought.

3 Q And are you allowed -- is every drop of water
4 in the lake or the river available for surface water
5 supply use?

6 A No.

7 Q Can you tell us a little bit more about that
8 and approximately how you evaluate what is available
9 versus what is actually in there?

10 A You have other uses that you have to meet, both
11 regulatory driven and as a result of your operations.
12 For example, permits today are usually contingent upon
13 meeting certain environmental issues downstream. So
14 many times you have to let a little bit of water go or a
15 lot of water go out of your dams and reservoirs to meet
16 those downstream needs.

17 The primary issue, I think, is the net of
18 all those demands and the net of the municipal or
19 industrial or a combination of demands you put on a
20 reservoir is driven by the derivation of firm yield for
21 that reservoir. And firm yield is a term of art that's
22 used to describe how much water you can dependably get
23 out of that reservoir if you had a repeat of the Drought
24 of Record. The Drought of Record is essentially from
25 the mid '40s to the mid to late '50s; '46 to '57 is what

1 I use. And so that tells you that -- a number. It says
2 that if we had a repeat of the drought of the 1950s and
3 you pumped continuously on your lake during that
4 drought, this is how much water could you dependably
5 get.

6 The TCEQ and its predecessor agencies have
7 adopted that as the criterion upon which they issue
8 municipal water permits to reservoir owners, firm water
9 basically to reservoir owners. So LCRA's Highland
10 Lakes, the amount of water that's available from them is
11 dependent upon the derivation of the firm yield of those
12 lakes. Firm yield is set by the drought standard that
13 you've adopted to compute the firm yield, and
14 historically that drought has been the 1950's. In my
15 opinion, the current drought is worse than that, and the
16 firm yield is falling.

17 Q Have you evaluated, in connection with coming
18 up with your opinion that we are experiencing a Drought
19 Worse than the Drought of Record, did you prepare any
20 tables or graphs charting the severity of the drought
21 over time?

22 A Yes.

23 Q Okay. And are those in Exhibits 61, 62 --
24 well, I believe it's just 61. What does this tell us
25 about the severity of the drought?

1 A 61 is hundreds of snapshots. The prior graph,
2 which was the State of Texas colored in, was one day out
3 of one week. They do that weekly. If you look across
4 the lower scale here, it's from the year 2000 to today.
5 Those colors are the same colors -- or they are supposed
6 to be the same -- depiction of the same drought
7 conditions that are shown on the prior map but over this
8 entire period of time.

9 So again, it says that if the color
10 extends all the way to the top of the chart, that means
11 100 percent of the state was impacted by drought. So
12 where you see white areas, again, there was perceived to
13 be only partial or no drought. But over on the
14 right-hand side, for example, if you look at about the
15 year 2010 to the far right-hand column, you see that
16 over 90 percent of the state in round numbers has been
17 in some sort of drought for the last four years.

18 So you read this chart basically by,
19 number one, how high up on the graph does it go. You
20 also -- a handy tool I do, I just look at the purple.
21 Purple is the absolute worst drought. It's called the
22 exceptional drought. And if you look at the year 2011,
23 80 -- I believe the actual number is 88 percent of the
24 state was in the exceptional drought category. The
25 entire map that we previously looked at would have been

1 colored, almost 88 percent of it, dark brown. And so
2 that's consistent with our understanding and the
3 understanding of the public and my analysis of it, that
4 2011 is the worst -- that year is the worst year of
5 drought in our recorded history as long as we've been
6 keeping records. People say there were worse droughts
7 long ago, but since 1940 that's clearly the worst
8 drought we've ever had.

9 Q So what does this information mean for water
10 plans?

11 A This is just a tool to increase awareness. It
12 tells you that, yes, droughts happen. It tells you that
13 you should be concerned. It's a good communication tool
14 for the public to show them both the severity and the
15 timing of these droughts. In terms of direct
16 application, there really is none.

17 Q Okay. When do you think the current drought
18 that we're in started?

19 A Everything I'm going to talk about is going to
20 be what I would call a hydrologic drought as it affects
21 the firm yield of a reservoir, the Highland Lakes
22 upstream. In the case of the Highland Lakes, I believe
23 the current drought that we're in started in March of
24 2008. That was the last date that both reservoirs were
25 completely full.

1 Q Have you studied the impact of drought on
2 surface water storage?

3 A Yes.

4 Q Is that what you have depicted on Exhibit 62?

5 A Yes.

6 Q And tell us what this is.

7 A This is a download from the -- a Water
8 Development Board cite. The web address is at the top
9 of the page there. But anyone can go there and look at
10 this information. I simply downloaded it and printed
11 it.

12 The Water Development Board tracks
13 reservoir contents in 114 major reservoirs in Texas, and
14 that's any reservoir that's more than 5,000 acre-feet in
15 capacity. They put this plot out there -- I think they
16 update it every week. I may be wrong about that --
17 where the color of the dot depicts the content of the
18 reservoir relative to its permitted content; in other
19 words, how empty is it? So a blue reservoir is
20 essentially full. A dark brown reservoir could be
21 empty. So the lake --

22 Q Tell us where the Highland Lakes are, the lakes
23 that are the primary water supply source for the
24 potential customers you've identified.

25 A Well, I wish I had circled them before we

1 printed this. But, you know, if you kind of look right
2 in the middle of the State of Texas, right there where
3 if you know where Travis and Burnet Counties are,
4 there's two I would call it peach-colored larger dots
5 that have three blue dots right next to them or on top
6 of them. The one to the lower right is Lake Travis, the
7 one to the left is Lake Buchanan. The blue dots are
8 their attempt to depict Inks Lake, LBJ, Marble Falls and
9 Austin. They're what we call the constant level lakes.
10 So the reason they're blue is because they are
11 artificially maintained full.

12 The only two lakes that are used for water
13 supply are Travis and Buchanan, and so they are in the
14 30 to 40 percent range, that peach color, and that's
15 correct. They're about 32 or 33 percent today.

16 Q And what about the red dots that are northwest
17 of the Highland Lakes? Which reservoirs are those?

18 A River basins in Texas basically run from the
19 southeast to the northwest. So although this doesn't
20 show river basins, these are reservoirs throughout the
21 state all the way up into the Panhandle. If you just go
22 on kind of a 45 degree diagonal upstream from the
23 Highland Lakes or to the upper left from where I
24 described the Highland Lakes to be, there's a cluster of
25 six or eight orange or red reservoirs. All of those are

1 in the Colorado River basin. They are all extremely
2 low. From a reliable perspective, they're empty, and
3 that's what this data shows.

4 If you sort of drew a line down the middle
5 of the state vertically and looked to the left,
6 virtually every dot to the left is 50 percent or less in
7 capacity. If you look to the right, there are some that
8 are lower, but in East Texas we continue to enjoy lakes
9 that are much fuller.

10 So in a -- in a rough sense what this
11 tells me graphically is the drought information I saw on
12 the previous exhibits for the entire state averaged,
13 this begins to tell me how is that drought
14 geographically dispersed around this state from the
15 perspective of reservoir content. And West Texas is
16 suffering far more than East Texas is my conclusion.

17 Q The reservoirs northwest of Lake Buchanan and
18 Lake Travis that you mentioned, in the same river basin
19 as Lake Buchanan and Lake Travis, if those are very --
20 if their storage capacity is very low, what impact, if
21 any, will that have on the storage capacity eventually
22 in Lake Travis or Lake Buchanan? Is there a connection?

23 A Yeah, there's -- there's two connection. One
24 is actual, and the other is potential. The first
25 connection is, they will intercept any runoff that

1 occurs in West Texas. If they had a huge storm out
2 there, it would fill these lakes first before it ever
3 came to the Highland Lakes.

4 The second is, when I look at this
5 information and look how it's changed over time and look
6 at the situation that those reservoir owners have found
7 themselves in, I believe that that line is moving to the
8 east. The line of the yellow to orange to red is moving
9 to the east. It waffles back and forth.

10 But just as we see that Travis and
11 Buchanan are in the 30 percent range, immediately
12 upstream of Buchanan is Ivie Reservoir. It's only about
13 15 percent full. It's the large -- the first large red
14 reservoir that you encounter as you go upstream from the
15 Highland Lakes, about a hundred miles upstream from
16 Buchanan. And I -- my interpretation of that is there's
17 a very real risk that this drought could extend to the
18 east; our lakes could go dry.

19 Q Tell me about that red dot, the kind of
20 square-looking large red dot in the Panhandle. What
21 is -- what reservoir is that?

22 A If you -- if you look in the Panhandle and see
23 the rows of counties, look at the second row of counties
24 down. Right in the middle of the Panhandle, that larger
25 red dot, is Lake Meredith on the Canadian River.

1 Q And it's bright red. Does that mean there --
2 that it is -- has zero percent or zero to 10 percent
3 storage in it?

4 A For A period of about five years, it was less
5 than zero. I believe they caught a little bit of inflow
6 a couple of months ago. And the last number I saw was
7 that they're 4 percent, but it's still a dark brown
8 color.

9 Q So have you prepared a series of exhibits
10 explaining how we got to this -- these severe drought
11 conditions that we are currently in?

12 A Yes.

13 Q And let's take a look at Exhibit 66. This
14 shows U.S. in different climate divisions. What
15 division is Texas in?

16 A I don't know what Texas is in. I think it's
17 just Texas.

18 Q Okay. Is it No. 6 on the map?

19 A Within Texas, Texas is subdivided into climate
20 divisions. If you look at Climate Division 6, if you
21 can read it, it's essentially the Edwards Plateau area
22 that would start more or less where we are and extend to
23 far West Texas. So for some of the stuff I did, I chose
24 that as the appropriate area to look.

25 Q Okay. So let's take a look at Exhibit 63

1 and 64. You looked at that, again, Division 6. In 63
2 and 64 and 65, for Division 6, what does that tell you
3 about the climate over time?

4 A Everything that we've looked at up to now has
5 kind of been for the whole state. When you zero it down
6 onto Climate Division 6, you're looking more or less at
7 the watershed that feeds our area. It's not exact, but
8 it's pretty close.

9 63 shows another depiction of drought.
10 This is the Palmer Drought Severity Index, the PDSI.
11 Basically anything that's green is non-drought, anything
12 that is yellow is drought. And it shows that today we
13 are in a pretty significant drought compared to history.

14 And just as a point of interest, if you
15 look back to the time period between 1950 and 1960, if
16 you use this index, you can see that the drought in the
17 '50s would still be worse than the drought we're
18 experiencing today.

19 Q Okay. And that was on Exhibit 63. Correct?

20 A Correct.

21 Q Okay.

22 JUDGE O'MALLEY: Ms. Reese, is this a good
23 time for a break?

24 MS. REESE: Sure.

25 JUDGE O'MALLEY: People might be getting

1 antsy for water or the bathroom. Why don't we go ahead
2 and go off the record.

3 (Recess: 10:55 a.m. to 11:12 p.m.)

4 JUDGE O'MALLEY: Let's go back on the
5 record. Ms. Reese?

6 Q (BY MS. REESE) Mr. Thornhill, I'll just remind
7 you that you're still under oath even though we took a
8 break.

9 A Yes.

10 Q Right before the break, we were looking at
11 Exhibits 64 and 65, and those were for Climate
12 Division 6, which is specifically the region of Central
13 Texas. Correct?

14 A Correct.

15 Q And what do these tell us about the
16 precipitation and temperature in Central Texas over
17 time?

18 A In general, if you look at the right-hand side
19 of both those exhibits, you'll see the trend I'm going
20 to talk about. From about 1990 to present, if you
21 ignore the ups and downs and kind of visually compare
22 the entirety of that graph, there's a downward trend in
23 precipitation, which is consistent with the current
24 drought.

25 If you turn to page -- or excuse me -- to

1 Exhibit 65 and look from about 1960 to present, there's
2 been a semi-continuous upward trend in temperatures.
3 Again, the most -- or the steepest increase in
4 temperatures from about the year 2000 to today, I think
5 those are both consistent with the current drought that
6 we're in.

7 Q Have you studied what is going on specifically
8 in Austin with regard to climate, precipitation and
9 temperature?

10 A Yes.

11 Q And are those reflected on Exhibits 67 and 68?

12 A Yes.

13 Q Okay. So tell us what you learned when you
14 graphed this information -- or obtained this
15 information.

16 A Looking only for -- at Austin based on this
17 data, and this data only starts in 1940 -- the other
18 data went back a lot further -- Exhibit 67 shows a
19 pretty sharp downward trend in rainfall or precipitation
20 in Austin, starting in about 1990. To help the visual,
21 I put a trend line -- that's the blue bar in there -- to
22 show the downward slope of that period of time.

23 On Exhibit 68, the opposite is shown, that
24 for the period 1990 to present there's been a sharp
25 upward tick in temperature. And if you look at the

1 graph, it really started about 1970. Those are pretty
2 much consistent with the Climate Division 6 data we saw
3 before.

4 Q Have you analyzed the impact of a drought on
5 the reservoirs, particularly in the Highland Lakes, over
6 time?

7 A Yes.

8 Q Okay. And are those in Exhibits 69 through 72?

9 A Yes.

10 Q Okay. So let's start with Exhibit 69. You've
11 got the total combined storage in Lake Buchanan and
12 Lake Travis, again, those are two Highland Lakes in
13 which a public water supply can be withdrawn. And you
14 show the history of those -- storage in those two
15 reservoirs. Correct?

16 A That's correct.

17 Q And what does this tell you?

18 A On Exhibit 69, to read that exhibit, the green
19 line represents when the lakes are both full, slightly
20 above 2 million acre-feet of total capacity. So when
21 the blue line -- the blue wavy line that goes up and
22 down when the contents are below the green line, the
23 lakes are less than full.

24 And two things I would note. One, if you
25 looked at the time period from about 2008 to today on

1 the far right-hand side, you see the lake levels falling
2 pretty precipitously. And if you compare that back to
3 the period of about 1945 to 1957, that's the Drought of
4 Record, you see pretty much exactly the same trend, the
5 lake levels falling at least as quickly, if not more
6 quickly, than the Drought of Record.

7 Q And --

8 A Excuse me. I said lake levels. This is the
9 storage, but it's analogous to the lake levels.

10 Q And when you look at Exhibit 70, you graphed
11 that information in a different way.

12 A Right. Just look at the -- if you look at the
13 right-hand edge of 69, that's what you get with
14 Exhibit 70. It's the combined storage of both Travis
15 and Buchanan but starting in the year 2005 instead of
16 1990 -- or excuse me -- 1940.

17 Q And what does this tell us about the storage in
18 Lake Buchanan and Lake Travis?

19 A Again, that they are falling. I added notes to
20 Exhibit 70 that the last time both lakes were full was
21 March of 2008, and that's what the upper arrow depicts.
22 Some people say that maybe the drought didn't start
23 until 2010 because Travis was full in 2010, but Buchanan
24 wasn't.

25 So by my definition of "hydrologic

1 drought" about the way these firm yields are computed,
2 the current drought started in March of 2008. The lake
3 levels depicted on here are consistent with what
4 actually occurred.

5 Q And when you look at Exhibit 70 and 71, you've
6 broken out -- or I'm sorry -- 71 and 72, you have broken
7 out Lake Buchanan and Lake Travis levels individually --

8 A Yes.

9 Q -- for the same time period.

10 A That's correct.

11 Q And that's consistent with information that
12 we've been presenting?

13 A Yes.

14 Q Let's take a look at Exhibit 73. This is
15 something that is -- you obtained from LCRA's website.
16 Correct?

17 A Correct.

18 Q And why is LCRA collecting this information and
19 displaying it on their website? What do they use it
20 for?

21 A This is something that we started when I was
22 there. This depicts essentially a method of predicting
23 what might happen if the hydrologic regime going forward
24 from today were to be wet or medium or dry. And it's a
25 method -- at the time we did it, it was a method of

1 communicating with the press and our board and various
2 members of the public where we thought the lakes might
3 go and what the risk of that was.

4 To read the graph, the left-hand column is
5 the content in acre-feet, and you can see the little one
6 up there at about 2 million acre-feet they're both full.

7 Going across the graph at the bottom, you
8 see the dates, so this graph starts about a year ago.
9 And I think this graph is about three weeks old,
10 October 1st I see there. So this is about a month old.

11 The yellow line on the graph depicts
12 October 1st, and so if you look about two-thirds of the
13 way down, you see a solid blue line that is a little bit
14 wavy. It goes from the left margin over to the yellow
15 line. That represents the actual content of the lakes
16 that was measured. From the yellow line, you see a fan
17 of four -- four different dashed lines. If by a miracle
18 it started raining again and we had wet conditions, the
19 content would be predicted to follow the green line. If
20 we have -- continue to have the extreme drought
21 conditions we've been experiencing, the lake contents
22 would continue to fall as that bottom red dashed line
23 shows.

24 Q When you look at -- let's look at the
25 historical blue line. Back earlier this year, I guess

1 maybe approximately May or June, it looks like it spikes
2 up a little bit. What does that mean?

3 A Yeah, it's an interesting little phenomena that
4 we had some rain in May -- it was May or June -- and the
5 lakes ticked up. If you look at the website, they
6 captured about 100,000 acre-feet, and that's that little
7 bump in May or June on the graph here.

8 And then the lakes started falling again.
9 It captured that little bit of water and started
10 falling. If that little bump hadn't occurred, today we
11 would be below 600,000 acre-feet in content. And the
12 reason that is important is that this graph and other
13 information is the basis on which LCRA would declare a
14 Drought Worse than the Drought of Record. They've met
15 two of three criterion. The only one that remains is
16 when the water level in the lakes falls below 600,000
17 acre-feet, which you can see is just below that point on
18 this graph, they would declare that drought.

19 So if you even start with the point we're
20 at today on the yellow line, October of 2014, and look
21 at that lowest curve -- or, excuse me, the lowest
22 projection of content under extreme drought
23 conditions -- even with that bump we fall -- we would
24 fall to about 640,000 acre-feet by next spring. And if
25 you added another six months to this graph at that rate,

1 I think clearly by late next summer, next year sometime,
2 it's likely that the lakes would fall below the 600,000
3 acre-foot threshold. But we'd be there already if it
4 hadn't been for that little bump back in May.

5 Q And what happens if the drought continues?
6 Actually, could the lakes eventually go dry?

7 A Yes.

8 Q Do you have a specific example of where that
9 very thing happened in Texas?

10 A Yes, I do.

11 Q Okay. Let's take a look -- is that behind
12 Exhibit 79? There's a series of exhibits behind 79.
13 Correct?

14 A Yes.

15 Q And they are separated by blue slipsheets?

16 A Correct.

17 Q Okay. let's start with the first page of
18 Exhibit 79. This is Lake Meredith. Where is Lake
19 Meredith on that Texas map with the brown dots we talked
20 about earlier?

21 A It's the one in the center of the Panhandle two
22 counties down from the northern boundary of the state.

23 Q The one that shows that's it's basically empty?

24 A Correct.

25 Q Okay. So did you prepare some information to

1 share with us on what happened to Lake Meredith and how
2 it went dry?

3 A Yes.

4 Q Okay. Is that behind the second or the first
5 blue slipsheet?

6 A The drought in groundwater?

7 Q Yes, that presentation.

8 A It's embedded in that. This has --

9 Q Okay.

10 A -- got a lot more information than that.

11 Q Okay. Well, that goes straight to my question
12 is what was the -- did you prepare this presentation?

13 A Yes.

14 Q And what was the purpose for which you prepared
15 it?

16 A Mr. Beal asked me to be an invited speaker
17 before the Austin Area Research Organization. He's
18 chairman of their water committee. He asked me to say
19 whatever I wanted about drought and groundwater, so I
20 prepared that and presented it to his group.

21 Q You did not prepare this in connection with due
22 diligence on the End Op project, did you?

23 A No.

24 Q But coincidentally, there happens to be
25 information here as well that is relevant to your

1 opinions that you formed today?

2 A Yes.

3 Q Okay. So could we all flip ahead to the
4 slides -- about 12 slides in that says, "What happened
5 in the Panhandle can happen in Central Texas." And,
6 Mr. Thornhill, you prepared this particular slide.
7 Correct?

8 A Yes.

9 Q And so tell us what you mean by "What happened
10 in the Panhandle could happen in Central Texas."

11 A If the Highland Lakes went dry or were
12 projected to go dry or we fear they would go dry, I
13 think the situation that was addressed by the Canadian
14 River Municipal Water Authority would be exactly
15 analogous to the situation we face here. In essence,
16 this -- this authority -- it's a river authority or a
17 utility authority much like LCRA -- owned the water
18 rights in Lake Meredith when it was built by the federal
19 government. They got the water rights, and they
20 developed a pipeline system shown on the right side of
21 this exhibit to deliver water from Lake Meredith all the
22 way down to Lamesa. This is about 350 miles, if I
23 remember right.

24 If -- I believe that the facts of what
25 they had to go through would be exactly analogous to

1 what we might have to go through if we believe the
2 Highland Lakes are at risk.

3 Q And tell us exactly what happened to the lake
4 levels in Lake Meredith.

5 A Lake Meredith went dry in 2011. At Buchanan --
6 if you look in the middle left side of the page, there's
7 a small graph of content. Lake Meredith began to drop
8 in about 19 -- well, about 2000, let's say, and then by
9 2011 was essentially empty. It stayed empty until just
10 a few months ago when it's now 4 percent is my
11 understanding.

12 About three years after that began, CRMWA
13 initiated a strategy to replace the water or to
14 supplement at the time they thought because they weren't
15 sure they were going to run out, but it ended up being
16 that they replaced entirely their entire -- the entire
17 volume that they could depend on from Lake Meredith has
18 now been replaced by groundwater, and they no longer use
19 Lake Meredith for surface water.

20 Q Is there a graph that demonstrates the timeline
21 of what happened to Lake Meredith in terms of the
22 supplementation with groundwater?

23 A Yes.

24 Q Okay. And is that behind the second blue
25 slipsheet a couple of pages in where the three tables

1 are?

2 A Yes.

3 Q Where did you obtain this information?

4 A This I downloaded directly from the CRMWA
5 website.

6 Q Okay. So tell us about -- explain to us what
7 these different bars using the light blue graphs mean --

8 A Okay. If you turn --

9 Q -- at the top.

10 A If you turn to the second page of what we were
11 just talking about, there's three graphs. If you look
12 at just the top graph to make it easy, this represents
13 over time the CRMWA member cities usage. Look at the
14 blue data sets. Starting in 1968, they began to use
15 Lake Meredith, and I think that was when it was built.
16 But by 2001 when the drought started, they -- that was
17 the last year that they depended only on Lake Meredith.
18 Starting in 2002 through 2011, they used more and more
19 groundwater to where from 2012 to today they're
20 100 percent dependent on groundwater.

21 And I've talked about this with Mr. Kent
22 Satterwhite, who is the General Manager, and basically
23 it's -- they saw the lake levels falling, they saw the
24 drought coming. They had for the first three years --
25 from 2001 to 2003 they had inflows that were the lowest

1 inflows on record to Lake Meredith. So they began
2 planning immediately and pulled the trigger.

3 They had some groundwater already that
4 they owned. But to implement the full project, they
5 also bought huge groundwater rights from Boone Pickens'
6 Mesa Water Company. He had been trying to sell that
7 water for a period of time and CRMWA bought it from him.

8 Q Is this information that you presented to us on
9 the story of Lake Meredith and how it went dry and now
10 eventually CRMWA is 100 percent reliant on groundwater,
11 is that useful in any way for water planners or water
12 utilities to understand what happened in the situation?

13 A Absolutely. It's -- to me it's the type
14 specimen case of what can happen to you if you do not
15 have a diversification of supply and if you're totally
16 relying on a single source and for any reason that
17 source fails. The literal worst case is you can't rely
18 on it at all for any additional water. And in this
19 round of planning for the regional planning group up
20 there, they're assuming zero firm yield from Lake
21 Meredith and water available only from groundwater for
22 that region.

23 Q Do you have a picture that you put together for
24 us of what it actually looks like when a lake is dry?

25 A I do.

1 Q Okay. Particularly Lake Meredith?

2 A I do.

3 Q If you flip behind the next blue sheet, is that
4 the picture that you obtained for us?

5 A Yes, I simply, in looking at the website for
6 CRMWA in preparation for today, I found this picture.
7 It was taken relatively recently; I'm not sure when.
8 But essentially inside the lake looking at the upstream
9 face of the dam, that large concrete or tower in the
10 middle is the intake for the water that is then released
11 downstream of the dam. If you look at the bottom of
12 that tower, it's totally out of water. You can see the
13 concrete base of it. And off to the left you see two
14 black objects. Those are pumps with pipelines sticking
15 down into the lake.

16 CRMWA, as the lake fell and got below the
17 intake, they were forced to pump water uphill inside the
18 lake to reach the lowest point of the outlet. And to me
19 this is just a graphic illustration of the heroic
20 efforts that folks are having to go to as these West
21 Texas -- West Texas lakes dry up. They're doing the
22 same thing down in Spence and Thomas and a couple other
23 lakes down in the San Angelo area owned by CRMWD, the
24 Colorado River Municipal Water District, in our basin.
25 But this was a great picture, so I just added it.

1 Q Have you prepared an exhibit demonstrating your
2 opinion that you stated throughout your testimony today
3 that we are in a Drought Worse than the Drought of
4 Record?

5 A Yes.

6 Q Let's look ahead. Is that on Exhibit 83?

7 A Yes.

8 Q Okay. And tell us what you have depicted
9 there.

10 A 83 is to me the classic back-of-the-book look
11 at what I would describe as a comparison of the current
12 drought to the 1950s drought. The blue line represents
13 the cumulative inflow into the Highland Lakes for the
14 period 1947 to 1957. That's the dates on the bottom of
15 the chart. In other words, we have records of how much
16 word flowed into those lakes during those periods.

17 The orange line represents from
18 March 2008, when the current drought began, through
19 April. I prepared this chart some months ago, and it
20 shows that there's a difference of 1.8 million acre-feet
21 in inflows. But it also shows that prior to about the
22 1952 time frame, the curves are relatively close. And
23 what that tells me is that the current drought and the
24 historical drought were pretty much the same until we
25 hit 1952.

1 There is a unique circumstance about the
2 1950s drought that most people aren't aware of, and that
3 is that on September the 11th -- yes, September the 11th
4 of 1952 -- a huge flood came down the Pedernales,
5 partially on the main stem, and it -- that almost
6 vertical bump that you see on the blue line, Lake Travis
7 rose 56 feet in 12 hours, about 65 feet in 24 hours and
8 essentially almost refilled. It was a massive flood.

9 Because that flood occurred, the
10 calculated firm yield of the Highland Lakes is much
11 higher than it would have been without that flood. So
12 when I look at a graph like this and see that the orange
13 line continues without that kind of a bump in it, and
14 if, in fact, we extended the line to today, I think it
15 would continue pretty much on that same slope. So
16 today's difference might be well over 2 million
17 acre-feet. I believe -- this fundamentally tells me
18 personally -- and I would -- I have shown it to others
19 and they agree -- that the current drought is worse than
20 the Drought of Record in terms of inflows. I believe
21 when the orange line and blue lines diverged in that
22 September 1952 date, and that was the point at which
23 this drought became worse than the Drought of Record.

24 Q And have you found a study that makes the same
25 conclusions that you do in terms of reduced inflows in

1 storage in the Highland Lakes?

2 A Yes.

3 Q And is that in Exhibit 85?

4 A Yes.

5 Q So you did not prepare this exhibit?

6 A No, I did.

7 Q Mr. -- or Dr. Hoffpauir prepared this, and do
8 you know, as you understand it, for what purpose?

9 A The City of Austin created, what's shown there
10 in the middle of the title sheet on Exhibit 85, a water
11 resources planning task force. And they retained
12 Dr. Hoffpauir to assist them in assessing the impact of
13 recommendations they might make for how Austin might
14 respond to the current drought, and this is a
15 presentation that he gave to that task force.

16 Q Do you know Dr. Hoffpauir?

17 A I do not.

18 Q And is this information publicly available?

19 A Yes.

20 Q And so you came across it. And then in
21 reviewing it, can you tell us what is the bottom line
22 from Dr. Hoffpauir's presentation?

23 A It's a very complicated study. But, bottom
24 line, his study shows that if no action is taken, the
25 levels of the Highland Lakes will fall below and stay

1 below 600,000 acre-feet if we continue to have a drought
2 like -- that mimics the conditions of the last three
3 years.

4 The second conclusion is that even if the
5 task force recommendations are applied -- and there's
6 probably 15 or 20 of them -- the lakes will still fall
7 below 600 acre-feet, and LCRA will then declare a
8 Drought Worse than Drought of Record. So these are
9 consistent with what I independently looked at.

10 Q And in just a minute I want you to show me the
11 two pages specifically that draw those conclusions. But
12 before you do that, can you please tell me what is the
13 significance of LCRA declaring that this drought is the
14 Drought Worse than the Drought of Record?

15 A Again, the entire basis for LCRA being able to
16 contract the sale of water to firm water customers is
17 the firm yield. That firm yield is based on the 1950s
18 drought. If the current drought is worse than that, the
19 firm yield is less than it was based on the 1950s
20 drought. And I believe that once LCRA declares a
21 Drought Worse than the Drought of Record, there will be
22 a scramble to recalculate the firm yield of the Highland
23 Lakes. And, in fact, until the Highland Lakes refill
24 completely, we won't know if that -- how low that
25 recalculated firm yield will go.

1 But the actual declaration of a Drought
2 Worse than the Drought of Record by LCRA is simply a
3 relic of this criteria they set up. The only remaining
4 criterion for that to be declared is 600,000. Even
5 though they haven't declared that, it's my opinion that
6 we're already well into a Drought Worse than the Drought
7 of Record.

8 Q Show us specifically the two pages in here that
9 support the conclusions that Dr. Hoffpauir makes that
10 are similar to yours.

11 A Well, the ones I was thinking of when I said my
12 earlier statement was Page 10. If you look in the lower
13 right-hand corner, you see some white numbers there are
14 page numbers. It might be most easily described by,
15 let's say, Page 10 and Page 12. Page 10 shows if they
16 do nothing, if Austin did nothing, where would the lake
17 levels fall to under six different scenarios of
18 projected inflows? And essentially if you look at that
19 bottom graph, the way you read it is the bottom line is
20 the worst inflow situation obviously. And even with the
21 best inflow assumption, if they repeat the 2011 through
22 2013 hydrology, the Highland Lakes would fall below
23 600,000 by July of next year.

24 If you turn to Sheet 12, Page 12 of that
25 exhibit, you see a similar graph. This graph, however,

1 has imposed upon it the strategies that the task force
2 was looking at to create more water basically. And you
3 can see that by July of 2015 the Highland Lakes still
4 fall below 600,000 and say -- while they come back
5 above, you see they continue to fall.

6 So my interpretation of this work is that
7 this is -- the Highland Lakes, even if LCRA -- or excuse
8 me -- even if the City of Austin imposed the various
9 strategies that they were talking about, it really
10 wouldn't help that much. The Highland Lakes would still
11 fall below 600,000 sometime next year.

12 Q And what does the reduced firm yield do to
13 users who rely on the Highland Lakes as a source of
14 their water supply?

15 A I'm sorry, I couldn't hear the first part.

16 Q Sure. What does the -- what impact does the
17 reduced firm yield have on users who rely on the
18 Highland Lakes for their surface water supply?

19 A It's fundamental. All of the contracts that
20 LCRA enters into are based on the firm yield of the
21 Highland Lakes, plus any other sources of supply they
22 have. I think it's by law, but it's my understanding by
23 practice at a minimum, the TCEQ will not grant permits
24 for municipal use unless they are based on firm yield,
25 whether its run-of-river or stored or both.

1 So fundamental to that ability for LCRA to
2 sell water to customers and those customers to rely on
3 that water is an agreement that the water supply is
4 based on a drought or a given risk standard. If the
5 Drought Worse than the Drought of Record occurs, i.e. if
6 I'm correct that this drought is worse than the 1950s
7 drought, the firm yield has already been reduced. It's
8 just a matter of calculating how much. And LCRA, Austin
9 and -- LCRA and all their customers are going to have to
10 enter into a very adult conversation about who gets how
11 much water as that -- as that yield continues to be
12 reduced.

13 Q Let's take a look at Exhibit 86, and can you
14 briefly tell us -- this is your reflection of the
15 reduced firm yield over time with regard to the Highland
16 Lakes, and I think it includes some other information as
17 well. Can you tell -- talk to us specifically about the
18 Highland Lakes, which is in the middle of Exhibit 86?

19 A Yes. I'm aware of four different sources of
20 calculation of the firm yield for the Highland Lakes.
21 That middle box, if you look at the four columns, those
22 are the four different calculations that I'm aware of.
23 In the year 2010, LCRA submitted -- or excuse me --
24 published their water management plan, that current
25 version, and that's the bold heading of that column.

1 The period of record that was used to
2 calculate the firm yield was from 1950s drought, which
3 is 1946 to 1957. The firm yield that was computed is
4 445,266 acre-feet, and that's the current number that
5 you see commonly on the website and in the press.

6 In 2012, LCRA submitted an application to
7 TCEQ to amend their water management plan, and in the
8 appendix to that application, again using the 1946 to
9 1957 time period, LCRA computed a yield that is about
10 1.4 percent smaller than what they had previously said.
11 I've never seen that number used anywhere else, but it's
12 in there, a drop of about 6,000 acre-feet.

13 In May of this year, when TCEQ responded
14 to LCRA's amendment request -- that's the right-hand two
15 columns, TCEQ 2014 -- TCEQ did two different
16 calculations in that response. They calculated the firm
17 yield based on 1946 to 1957. They got 431,982
18 acre-feet, which is 13,000 acre-feet less than the 445
19 that we've been relying on.

20 They also calculated that from 2007 to
21 2013, if they used the current drought -- and they
22 stopped their calculations as of December 31, 2013, so
23 about 10 months ago -- the firm yield is 432,191. So
24 it's essentially the same as the 1950s drought.

25 In my opinion, if they extended it to

1 today and included the last 10 months, that decline in
2 firm yield would continue to exhibit and it would be
3 down around 410,000 acre-feet.

4 Q And what do these negative percentages at the
5 bottom mean?

6 A They're the reduction below the 445,000
7 acre-feet that's been the longstanding estimate of firm
8 yield.

9 Q Okay. I'd like to shift gears now and go into
10 last area of customer use, which is about cost. Did you
11 prepare a series of exhibits relative to your analysis
12 of the costs that End Op would charge to deliver water
13 and the current cost for the potential users --

14 A Yes.

15 Q -- you've identified?

16 A I did.

17 Q Okay. And are those in Exhibits 87 through, I
18 think, 102? Correct?

19 A Yes.

20 Q Okay. And within these exhibits, you've
21 included all of the backup data for what you've looked
22 at in the backup data supporting your calculations. Is
23 that correct?

24 A Pretty much, yes.

25 Q Okay. But there are a couple of key exhibits

1 that we should probably go through. Is Exhibit 87 one
2 of them?

3 A Yes, it's the summary of what I've done.

4 Q Okay. Explain to us what you did here on this
5 table.

6 A This particular table is the comparison where I
7 looked at the SAWS/Vista Ridge contact and how that was
8 structured and compared it on the right-hand to -- if we
9 were to sell Austin water from this project and
10 essentially duplicated the terms of that contact, what
11 would it look like all the way down to a
12 price-per-thousand gallons for the water.

13 Q Okay. And again, why did you choose to look at
14 the SAWS/Vista Ridge agreement as an example?

15 A As I said earlier, I think this is going to
16 become the standard. I think it becomes a gold standard
17 actually about how public entities might want to look at
18 what I call public/private partnerships for water where
19 you have a private entity and a public entity doing a
20 project together. It's a very fair contract, in my
21 opinion. It's been approved. It was in the process of
22 being approved and has subsequently been approved by
23 both SAWS and the city council of San Antonio. So I
24 think any other city who is looking to buy water from an
25 entity like End Op will look at that contract that SAWS

1 entered into and ask what will our project look like if
2 we did it just the way they did.

3 Q So just to make sure I understand what you did,
4 you basically looked at the publicly available
5 information on the SAWS deal, you reverse engineered it
6 to establish a methodology by which those costs were
7 determined and then applied that to the End Op project?

8 A Correct.

9 Q And that is what is in the right-hand side of
10 the table?

11 A Correct.

12 Q Okay. And what did you conclude when you
13 applied the methodology to the End Op project with an
14 assumption that the water would go to the City of
15 Austin?

16 A That we could deliver water to them for \$3.42
17 per thousand gallons in the first year.

18 Q Okay. And what does the number directly next
19 to the left of the 3.42 in the blue box?

20 A That's this \$3.42 converted to acre-feet, the
21 price per acre-foot.

22 Q So if you wanted to look at apples to apples
23 with the SAWS deal in terms of costs per acre-foot, you
24 would look at the 1,113 as compared to the 2,239?

25 A Correct.

1 Q And what does this tell you about the End Op
2 deal versus the SAWS deal? Why is the SAWS deal twice
3 as expensive per acre-foot?

4 A Two reasons. The very small reason is that
5 they're proposing to deliver slightly more water, 50,000
6 acre-feet versus 46,000 for us. The primary reason is
7 the fact that their pipeline would be 142 miles long. A
8 pipeline from our project to Austin would only be about
9 36 miles long.

10 Q What about to Round Rock or Cedar Park?

11 A To Round Rock, it's approximately the same
12 distance. The delivery point that I've looked at would
13 be approximately 36 miles away. To Cedar Park and
14 Leander, I don't think this would apply exactly. We'd
15 have to build in the extra pipe length into the cost.

16 However, those cities are all
17 interconnected. Their water systems are interconnected
18 at some level. And so until I understand better how
19 they're interconnected, I can't say definitely that
20 \$3.42 would be a delivery cost to them. But for Austin
21 and Round Rock, I think that's -- that's a pretty good
22 number.

23 Q Okay. And that includes -- you looked at the
24 cost to build the pipeline, you considered all these
25 different factors, and the bottom line is \$3.42?

1 A Correct. It's both the construction and the
2 operation and maintenance and energy costs all taken
3 into account in the first year would be \$3.42 per
4 thousand.

5 Q And that includes embedded within that the
6 pre-commitment that End Op has made to pay for potential
7 or financial impacts to existing user?

8 A Yes.

9 Q Okay. So let's take a look at what Leander,
10 City of Austin, Round Rock and Cedar Park are currently
11 paying for their water. Is that on Exhibit 88?

12 A Yes.

13 Q Okay. And again, you pulled this information.
14 Just tell us very briefly how you found out what these
15 cities are paying for their water.

16 A I went to the web and pulled copies of official
17 statements from recent bond issues as well as the
18 budgets for each of these entities. From them I
19 extracted the information I needed to be able to
20 calculate my estimate of what their current cost of
21 water was per thousand gallons and per acre-foot, and
22 that's what's depicted on these tables -- this table.

23 Q And how reliable, in your opinion, are these
24 opinion statements that you primarily relied on?

25 A The official statement is to me the go-to place

1 for perfectly reliable -- or at least as reliable as
2 you're ever going to get -- information. They are
3 associated with the disclosure -- the full disclosure
4 requirement of bond issuance through the SEC. The
5 entities that are going to issue the bonds provide a lot
6 more information there than they typically do in their
7 budget.

8 When you go and look at the budget, you
9 find data. But many times a city will combine numbers
10 or mix the water and wastewater utility, and it's much
11 more difficult to use. So I compared the two and picked
12 where I thought the best data would come from. But I
13 think the official statement is the best source.

14 Q Okay. So tell us what the bottom line is in --
15 with regards to your conclusions about their current
16 cost of water.

17 A If you look just at the middle of Exhibit 88,
18 that middle tier that says dollars per thousand gallons
19 in bold and look at the row that says Total, the four
20 cities are in the middle of the chart, and our project
21 is over on the right-hand side. To read it, for
22 example, the City of Austin is \$6.13 per thousand. And
23 you compare over on the right-hand side, our cost is
24 \$3.66 per thousand. Let me just clarify. That 3.66
25 includes a 7 percent transfer to the general fund.

1 If you look just above that, the \$2.33 and
2 the \$1.09, that's the \$3.42 we've been talking about.
3 You add to that 24 cents for the transfer, you get 3.66.
4 So it's -- it's the same number with just another factor
5 added.

6 The \$3.60, which includes the transfer to
7 general fund, compared to the other entities, it's about
8 60 percent of what Austin currently pays. It's about
9 the same, a little bit more maybe, of Cedar Park's cost.
10 It is far less than Leander's cost, and about the
11 same -- well, a little less -- a little more than what
12 Round Rock's current costs are.

13 Q Why is Leander's water so expensive?

14 A In Leander's case, if you looked at the row of
15 demands there at the top of the table, they're a fairly
16 small utility that's growing rapidly. And what that
17 means is, they've had to incur a lot of debt. They are
18 participants in that Brushy Creek regional project.
19 It's millions of dollars. And so you have the
20 phenomenon of a smaller number of customers paying for a
21 large project that's supposed to manage for growth, and
22 so their unit rates are higher as a result.

23 Q Okay. You used -- throughout the rest of what
24 you're going to show us, you used the City of Austin as
25 the example or test case. Correct?

1 A Yes.

2 Q Okay. And did you perform any calculations of
3 the impact of -- on their budget if the City of Austin
4 decided to purchase End Op's groundwater?

5 A I did.

6 Q Okay. Is that in Exhibit 95?

7 A Yes.

8 Q Okay. This is just for 2013 using actual
9 data -- correct -- not projected?

10 A Correct.

11 Q Okay. And what does this tell us about the
12 impact on budget?

13 A If you look at the very bottom row of that
14 table, the fundamental bottom line is that if you use
15 2013 as essentially a test year for if they didn't buy
16 our water and they did, their rates would have to go up
17 about 16 percent in order to pay for this project.

18 Q And do you know what the increase in rate was
19 under the SAWS/Vista Ridge agreement?

20 A Purely coincidentally, they've announced that
21 the projected rate increase was 16 percent. I believe
22 that's for the first year, which is what this one is,
23 too.

24 Q In your opinion, is this a reasonable rate
25 increase?

1 A Well, if I had to pay it, I might wonder about
2 it, but, yes. And it's not 300 percent is my point. I
3 believe that because of the way this is calculated, this
4 overstates what the actual impact would be over time to
5 the utility's customers. But many times you have large
6 rate increases such as this, they might be spread out
7 over a number of years, but 16 percent is -- for a
8 project like this is very reasonable.

9 Q And did you study the impact on City of
10 Austin's budget for future costs and rates over time?

11 A Yes.

12 Q Okay. And let's take a look at those. That's
13 in Exhibit 98 -- 97 and 98.

14 So tell us how to read Exhibit 97.

15 A The exhibit we were just talking about picks
16 one year, 2013, and calculates what the cost to Austin
17 was in that year and what our price to them would
18 probably be for that year. This graph attempts to look
19 at the next 30 years if we brought 46,000 acre-feet to
20 Austin, they used all of it starting in year one, what
21 would be the impact on their costs. And the way you
22 read the graph is the left-hand side is the total annual
23 cost of the water to Austin, and that's the red and blue
24 line on the graph. You use the left axis.

25 The right-hand side of the graph is

1 that -- the red and blue line converted to dollars per
2 thousand gallons. So the scale for the green and purple
3 is the right-hand side of the graph. A little bit
4 confusing, but it puts both these on the graph.

5 Q And what does -- what do you conclude when you
6 look at it over time, the impact on cost?

7 A Costs will go up, regardless of whether Austin
8 were to buy this water, but that the difference in cost
9 between them buying it and not buying it is fairly
10 small. And that's the difference between these graphs
11 in both cases. That difference represents the cost --
12 the added cost of our project embedded in their total
13 budget and cost is the difference between those two
14 lines.

15 Q And what benefits would the City of Austin gain
16 by purchasing End Op's groundwater in terms of their
17 supplies?

18 A Yeah, two things. One, they would ameliorate
19 the risks that we've been talking about that the
20 Highland Lakes might have a reduced firm yield or even
21 zero firm yield. Second, they would be able to
22 diversify their supply.

23 Today they only have water out of the
24 Colorado River, so they're totally at the mercy of that.
25 If they did a project on their own and did not use LCRA,

1 they would have independent control of the financials of
2 that project and not be subject to paying the overhead
3 and other costs of LCRA. So it's both a physical risk
4 and diversification issue with regard to the supply, as
5 well as potential financial security and gains.

6 Q Okay. And Exhibit 98 is your projections of
7 the rate increase over time if the City of Austin
8 purchased End Op's water?

9 A Right. In essence, in the first year, the rate
10 increase would be 12 percent, and the last year would
11 only be 2 percent.

12 Q Okay. And let's take a look at Exhibit 101,
13 and tell us what -- how you read this quickly and then
14 tell us what is the net -- or what do you conclude when
15 you look at this over time.

16 A This is part of the data I used to create the
17 other graphs. In essence, the blue line on this graph
18 is the projection of LCRA -- or, excuse me, it's the
19 projection I made of the City of Austin's future costs
20 to produce water. And the way I got it was the red --
21 the five red dots on the lower left side are actual
22 historical numbers. I simply did a linear regression
23 and projected those into the future, and that's the blue
24 line.

25 The green line is the per-year cost of

1 End Op's water delivered to Austin, and so it would
2 increase from \$3.42 to \$4.35. So these are independent
3 as if only Austin and only recharge. These are my
4 estimates of the per-thousand-gallon cost for each.
5 These are not mixed together yet.

6 Q And what do you conclude about the net effect
7 on the -- over time?

8 A Well, Austin's costs currently go up much
9 quicker than the cost of buying water from End Op would
10 go up. That's -- this blue line is steeper than the
11 green line, bottom line, is the way you read that. Also
12 Austin's costs are higher, which is consistent with what
13 I computed for the individual year. Austin's costs are
14 higher and will remain higher than the cost of
15 delivering water from End Op.

16 Q Okay. We keep discussing this scenario of the
17 City of Austin could potentially go back to LCRA if
18 they -- to meet a demand and say, hey, you know, can you
19 provide me more water, or the City of Austin could
20 potentially contract directly with someone such as
21 End Op. You've been discussing that scenario quite a
22 bit today.

23 If the City of Austin hypothetically went
24 back to LCRA and said, "I need some more water," does
25 LCRA have additional water to provide?

1 A I believe they have water that they would
2 commit. I do not believe they have the physical systems
3 in place to supply it.

4 Q Okay. Did you prepare a graph that illustrates
5 this or a table?

6 A Yes.

7 Q Okay. Is that in Exhibit 104?

8 A Yes.

9 Q And tell us how to read this information.

10 A Basically you just read it down the page. When
11 I was asked the question, "Does LCRA have water to sell
12 today," I went to the LCRA Board agenda book where they
13 publish on a quarterly basis their assessment of all the
14 water supplies they have and all the contracts they've
15 entered into. So that information I think is one of the
16 other exhibits.

17 So if you look at the first row, even
18 today LCRA is saying that the firm yield of the Highland
19 Lakes is 445,000 acre-feet. However, when you add in to
20 their system and do the math of the value of the
21 downstream run-of-river rights, which are Garwood and
22 Pierce and Gulf Coast and Lakeside, they estimate the
23 firm yield would be 600,000 acre-feet if they can have
24 access to all those.

25 So the 600,000 is LCRA's estimate of the

1 total available supply if they implemented all current
2 strategies, which means combining the Highland Lakes
3 with those downstream run-of-river rights.

4 The next row shows that the maximum annual
5 actual use -- in other words, how much water has
6 actually been diverted, not how much has been contracted
7 for -- is 283,000, but they've sold by commitment --
8 they've either committed to a use or sold -- 510,000
9 acre-feet.

10 So if you go down -- skip down to the
11 summary at the bottom. The total supply under their
12 current plan is 600,000 acre-feet gross. I'm
13 simplifying, of course. They've committed 510,000
14 acre-feet of that. So theoretically they have about
15 89,975 acre-feet that they can continue to commit and
16 not bust that 600,000 acre-foot level.

17 If you looked only at their use they have
18 available, they've used about half of their commitment.
19 So it's only about 47 percent. So they would have
20 317,000 acre-feet available.

21 My answer to this and the way I would
22 interpret these numbers for a customer is: The Highland
23 Lakes firm yield of 445,000, LCRA passed that a long
24 time ago. They've already committed by contract to
25 supply water to people far in excess of the firm yield

1 of the Highland Lakes. Their stated strategy to do that
2 is add in the downstream run-of-river water rights, as
3 well as, more recently, they've begun construction of a
4 major off-channel reservoir down in Wharton County,
5 about 150, 170 miles away. And they've also sought
6 groundwater permits from this district, the same
7 district in Bastrop. So they've begun to implement
8 additional strategies.

9 But today, the Highland Lakes are
10 overcommitted if that was what you looked at. LCRA
11 recognized that, and they've already begun implementing
12 strategies that previously they didn't consider doing
13 for 50 years.

14 Q Okay. And I'm happy to report, Mr. Thornhill,
15 that we are now at the last exhibit, 106.

16 A Okay.

17 Q This is LCRA's water supply resource plan from
18 October 2010. And have you reviewed this?

19 A Yes.

20 Q And you have provided a lot of opinions here
21 today about strategies that LCRA is using, different
22 conclusions that you have drawn about their water
23 supplies. And when you reviewed this, did you find
24 support within this plan for many of the opinions that
25 you've provided here today about LCRA?

1 A Yes.

2 Q Okay. And could you show us quickly where that
3 support is? For example, I think you wanted to show me
4 Page 22.

5 A Yeah, I thought 22 was interesting. It's hard
6 to talk about this without having a complete
7 understanding. But the question I had in my head is if
8 somebody asked LCRA, "Do you have water to sell today,"
9 I believe a highly instructive response to that is
10 contained in the middle paragraph of that page in the
11 bold part where it says, "It is anticipated that
12 projected firm demands may be met from the Highland
13 Lakes until about 2030." So they're saying, in essence,
14 that they expect to be out of water from the Highland
15 Lakes in 2030.

16 The next paragraph down, the bold part
17 says that, "If you assume they have the full 600,000
18 acre-feet, that should last, from a commitment
19 perspective, until about the year 2080."

20 Q Okay. And is that -- let's take a look at
21 Exhibit 25. Is that information reflected in a graph on
22 Page 25?

23 A Yes, this is -- in this are a number of
24 different proposed future projects. This particular
25 graph has none of those in it. This is the baseline.

1 And if you look at the shaded blue area, that represents
2 the 600,000 acre-feet of water supply. This isn't the
3 lake content, by the way. It just happens to be 600,000
4 also, but -- so don't get those confused.

5 The firm yield of all of LCRA's current
6 supplies is 600,000. And it shows that their actual use
7 is projected to cross that by about the year 2080. This
8 is what they said in words two pages before.

9 Q How does Page 33 support your opinion that you
10 provided today?

11 A Well, 33 and some others, they -- what 33 is is
12 just one of many scenarios that they had projected back
13 in 2010 that they might do to supplement their supply.
14 Build an off-channel reservoir was a theoretical back
15 in 2010. In January of 2012, LCRA actually began
16 implementation of the strategy shown pretty much on
17 Page 33 by planning to build the downstream off-channel
18 reservoir in Wharton County.

19 On this chart, it showed they didn't need
20 it until about 2050 or 2060. They started it in 2012.

21 Q What does that tell you?

22 A That tells me they are very concerned about
23 their water supply and are moving forward aggressively
24 to expand it.

25 Q Okay. And on Page 36, this likewise is a

1 demonstration of LCRA implementing a strategy. What's
2 shown here?

3 A 36 is an example of where the LCRA board
4 actually was looking at projects very similar to what
5 we're talking about for End Op; that is the use of
6 groundwater -- delivering groundwater from a distant
7 point back to LCRA or its customers.

8 Q And when did LCRA project that it would begin
9 doing that in the 2010 plan?

10 A Again, about 2050 or 2060.

11 Q And have they started doing that today?

12 A Yes, they've applied for and obtained permits
13 from the Lost Pines District in the order of -- I think
14 it's 5,000 acre-feet in a normal year and 10,000 in a
15 drought year.

16 Q Mr. Thornhill, I'd like to just go back to the
17 questions that were remanded from the district for us to
18 answer. Is it your opinion that the amount that would
19 be put to beneficial use in the next five years is at
20 least 46,000 acre-feet?

21 A Yes.

22 Q And upon what do you base that opinion?

23 A On the -- my understanding that a utility that
24 would be interested in buying this water would look both
25 at the security of their current supplies as well as the

1 cost of the water that we would offer to them. And I
2 think they would be highly incentivized to seriously
3 consider purchase of all this water on day one.

4 Q And given your opinion about the amount that
5 would be put to use in the five-year period, what amount
6 do you -- do you have an opinion -- or tell us your
7 opinion about the amount that you anticipate to be put
8 into use in a 30-year period?

9 A All of it; all 46,000.

10 Q Do you believe that it's likely a lot more in a
11 30-year period?

12 A Well, if we're limited to 46,000, that's all
13 we've got.

14 Q Right.

15 A So maybe I misunderstand your question.

16 Q No, I don't think you did. Sorry, I got
17 distracted.

18 (Laughter)

19 Q (BY MS. REESE) Is it your opinion that there
20 are a number of customers who would contract for the
21 full 46,000 acre-feet immediately or as soon as it
22 becomes available?

23 A Yes. On a stand-alone basis, LCRA and/or the
24 City of Austin could each individually contract for it
25 all. If the other customers got together as a group or

1 a regional approach much like they've done for the
2 regional water treatment plant, the combination of them
3 could easily exceed 46,000. And I believe it's a strong
4 possibility that some sort of a regional sharing of this
5 water would actually occur.

6 MS. REESE: Thank you, Mr. Thornhill. I
7 don't have anymore questions for you. I pass the
8 witness.

9 JUDGE O'MALLEY: Thank you.

10 Mr. Gershon?

11 MR. GERSHON: No cross.

12 JUDGE O'MALLEY: No cross.

13 And how much does the General Manager
14 believe --

15 MS. MELVIN: I kind of believe about 30
16 minutes, maybe more.

17 JUDGE O'MALLEY: About 30? Then --

18 MS. MELVIN: Do you want to take lunch and
19 then do this?

20 JUDGE O'MALLEY: Oh, yeah. I think --

21 MS. MELVIN: Okay. And I really thank you
22 because I would like a break early.

23 (Laughter)

24 JUDGE O'MALLEY: No, I --

25 MS. REESE: You can hear her stomach

1 growling.

2 JUDGE O'MALLEY: I think it's a better
3 idea for everybody to go ahead and take the lunch break
4 now. So why don't we go ahead and take the lunch break,
5 and we'll come back at 1:15.

6 Let's go ahead and go off the record.

7 (Recess: 12:07 p.m. to 1:17 p.m.)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 AFTERNOON SESSION

2 FRIDAY, NOVEMBER 7, 2014

3 (1:17 p.m.)

4 JUDGE O'MALLEY: Okay. Let's go ahead and
5 go back on the record.6 Mr. Thornhill, I'll just remind you you're
7 still under oath.

8 WITNESS THORNHILL: Yes, sir.

9 JUDGE O'MALLEY: And I think we're ready
10 to go to cross-examination. Ms. Melvin, will you be
11 doing that?

12 MS. MELVIN: I will.

13 JUDGE O'MALLEY: Okay.

14 PRESENTATION ON BEHALF OF THE APPLICANT

15 (CONTINUED)

16 PAUL THORNHILL,
17 having been previously duly sworn, continued to testify
18 as follows:

19 CROSS-EXAMINATION

20 BY MS. MELVIN:

21 Q Mr. Thornhill, it's good to see you.

22 A Thank you. You, too.

23 Q During your testimony, you mentioned that
24 End Op has now converted so many option agreements into
25 full lease agreements, 42 or 46 --

1 THE REPORTER: I'm sorry, Ms. Melvin.

2 You're going to have --

3 MS. MELVIN: I've got to speak up?

4 THE REPORTER: Really speak up.

5 MS. MELVIN: Yeah, I will. Believe me, I
6 can.

7 Q (BY MS. MELVIN) During your testimony, I think
8 that you testified that of the option agreements that
9 End Op has with landowners, that 42 of the -- 42
10 landowners have now converted those to leases. Did I
11 understand you correctly?

12 A I would say it just slightly different. It's
13 my understanding that of the 46 options, 42 of those
14 have been converted to full leases, and they're working
15 on the last four and expect to complete those soon.

16 Q Have you seen those leases?

17 A No, I have not. We'll, I've seen the options,
18 not the leases.

19 Q All right. Do you know if those leases are the
20 same ones that were -- are in the same form that was
21 attached to the option agreement?

22 A I don't know.

23 Q During your testimony, you talked about the
24 renewal process under the district rules. Have you had
25 an opportunity to review the rules relative to the

1 renewal process?

2 A Yes.

3 Q I think what you testified -- and perhaps I
4 misunderstood this, so please correct me if I did. I
5 think you testified that you thought that when you
6 applied for renewal, you have to start all over again?

7 A I may well have said that, yes.

8 Q Yeah. Let me show you -- this is Rule 5.7 of
9 this district rules as they existed at the time that the
10 application was filed that relates to renewal permits.
11 And if you look at the Section (b) of that rule -- or
12 actually Section (c), does it give you the
13 considerations that the Board will consider in deciding
14 whether to do a renewal?

15 A I assume yes. The title of the paragraph is
16 Considerations, and there's a list of six items; so,
17 yes.

18 Q Do you know if these six items are the same
19 considerations that the Board considers under its rules
20 when its looking at an operating permit for the first
21 time?

22 A I do not.

23 Q Do you know if there's an opportunity -- notice
24 and opportunity for a contested case hearing on a
25 renewal application? Do you know if there's notice --

1 if there's an ability to request a contested case
2 hearing on somebody's renewal application?

3 A I do not.

4 Q You mentioned that the mitigation proposal that
5 End Op has put forward, to your knowledge, is the only
6 one of its kind. Did I understand that correctly?

7 A Yes.

8 Q And what did you mean by that?

9 A It's the only one I'm aware of where an entity
10 has agreed to pay for damages or potential damages to
11 someone else as a result of groundwater pumping.

12 Q Are you aware that some other groundwater
13 conservation districts have set up -- set up mitigation
14 funds into which permittees pay?

15 A No, but you're triggering my memory. I think
16 SAWS either did or attempted to do something similar as
17 they were trying to develop a groundwater project once,
18 but I don't know the status of that.

19 Q Would it surprise you that the Gonzales County
20 Groundwater Conservation District -- or it may be the
21 Water Conservation District, I can't remember; that one
22 has kind of a funny name -- has rules that requires
23 permittees to pay into a general mitigation fund?

24 A No, it would not. In fact, I would be
25 gratified to learn that because I believe it's the

1 proper way to go, to provide mitigation is the proper
2 way to go.

3 Q You talked about the SAWS and Vista Ridge
4 project, and right before that you had talked about kind
5 of the things you would consider if you or any water
6 supplier were looking at a groundwater deal at that
7 time.

8 In the SAWS deal, does Vista Ridge already
9 have its permits?

10 A Yes.

11 Q What groundwater --

12 A It's -- Blue Water I think is the actual --
13 well, I'm not sure what name -- I was thinking of the
14 name. Somebody in that consortium has permits that have
15 been issued by the Post Oak/Savannah GCD.

16 Q And is that permit in the total amount that
17 SAWS is contracting for?

18 A Yes. Well, let me -- let me correct that.

19 Q Okay.

20 A There is some -- I've read the permit language
21 directly from what I understand to be a copy of the
22 permits, and there's some question of -- I take it back.
23 It was the date that was different. It was not the
24 volume in the permits.

25 So, yes, my answer to your question would

1 be I believe they have permits in place for the full
2 50,000 acre-feet.

3 Q Thank you. Thank you for considering that.

4 You also talked about the LCRA's long-term
5 strategies, and that one of them is they do look at
6 groundwater supplies. Did I understand that correctly?

7 A Yes.

8 Q And isn't it true that the only groundwater
9 supplies that they've obtained so far are what they
10 obtained from the Lost Pines Groundwater Conservation
11 District under permits issued by that district?

12 A That would be my understanding, yes.

13 Let me say that differently. I don't know
14 of any other. If they exist, I don't know about them.

15 Q That's fair.

16 I'd like to call your attention to the
17 exhibits -- to your Exhibits 54 through 59. My
18 recollection of these, if I'm correct -- and please
19 correct me if I'm wrong -- is that each of these
20 exhibits shows projected water demand in Travis and
21 Williamson Counties between now and 2070. Is that
22 correct?

23 A Well, you included 59 --

24 Q Right.

25 A -- which we didn't talk about. That's Bastrop

1 and Lee County. But otherwise, the rest of them are for
2 Travis and Williamson, yes.

3 Q Thank you. So it's 55 to 58 that we're really
4 talking about.

5 In those exhibits, you're showing what the
6 demand will be in those future years. Correct?

7 A I'm showing what the Water Development Board
8 projects the demand to be, yes, ma'am.

9 Q Thank you.

10 Do these exhibits take into account the
11 existing water supplies of these WUGs -- I love that
12 word -- WUGs and other users that can be used to meet
13 that demand?

14 A Demands are totally independent of the
15 supplies. That's a two-sided equation. You develop the
16 demands, then you look at how you're going to supply
17 those demands, and hopefully they match. So none of
18 these demands have anything yet in terms of the
19 documents presented here to do with the actual supply
20 that might meet those demands.

21 Q Do any of these have anything to do with the
22 existing supplies -- do any of your exhibits have
23 anything to do with existing supplies other than your
24 exhibits about the -- about the potential for firm yield
25 in the Highland Lakes?

1 A Well, there may be a page or two in some of the
2 exhibits. We didn't cover everything. But I think
3 fundamentally the information that's in my exhibits is
4 focused on the demand. You made the exception of the
5 Highland Lakes, obviously the supply from the Highland
6 Lakes and the downstream water rights and all that, but
7 I don't -- I don't think I included a table where I
8 looked at the supplies, no.

9 Q Mr. Thornhill, are you familiar with the 2011
10 Brazos G Regional Water Plan?

11 A Somewhere between vaguely and very, but not --
12 not very.

13 Q Somewhere up there you should have a copy of
14 our exhibits, that is the General Manager's exhibits.
15 And if you'll look behind Tab No. 5, you'll find the
16 regional -- Brazos G Regional Water Planning Area 2011
17 Brazos G Regional Water Plan.

18 MS. MELVIN: Your Honor, this is one of
19 our filed exhibits. At this time, I'd like to offer it
20 into the record.

21 JUDGE O'MALLEY: Are there any objections?

22 MS. REESE: No, Your Honor.

23 JUDGE O'MALLEY: Okay. The General
24 Manager's Exhibit No. 5 is admitted.

25 (Exhibit GM No. 5 admitted)

1 MS. MELVIN: Okay. Mr. Lein corrected me.
2 Why don't I just offer all 5 through 9? I offer 5
3 through 9.

4 MS. REESE: No objection, Your Honor.

5 JUDGE O'MALLEY: Okay. The General
6 Manager's Exhibits 5 through 9 are admitted.

7 (Exhibit GM Nos. 5 through 9 admitted)

8 Q (BY MS. MELVIN) Mr. Thornhill, I'm going to
9 ask you to turn to what is numbered in the -- this plan
10 Page 4A-9. But if you look in the right-hand corner,
11 there's a little bitty number down in the right-hand
12 corner under where it says HGR. And the page I'm
13 drawing your attention to -- see, teeny tiny. The page
14 I'd like to draw your attention is Page 69 under that
15 number.

16 A Got it.

17 Q On that page is a table that shows Williamson
18 County, and it shows projected shortages. And I believe
19 this shows projected shortages for municipal WUGs for
20 project water shortages. Is that correct?

21 A Can I look at the prior pages?

22 Q Please.

23 A I believe your description is accurate. This
24 is part of Table 4A-1, which starts on page -- however
25 your numbering -- 66, so, yes.

1 Q Thank you.

2 What does the regional plan mean when it
3 says "projected shortages"?

4 A It's my understanding, without going back and
5 looking through the whole thing again refreshing my
6 memory totally, the way the plan works is they determine
7 the demands, then they look at the existing supplies,
8 and the difference between the two is either a surplus
9 or a shortage. And so if they determine a shortage, my
10 understanding would be that would be the sort of
11 information that's in this table, that they've looked at
12 the existing supplies --

13 Q So --

14 A -- but not potential future supplies, and
15 determine a shortage.

16 Q Excuse me. I don't want to interrupt you.

17 So on Page 69, what you're seeing is the
18 Texas Water Development Board's projected shortages for
19 Williamson County and Williamson County Municipal WUGs
20 in the year 2030 and 2060. Is that correct?

21 A I'm sorry, the years you said?

22 Q 2030 and 2060.

23 A Oh, right. The two right-hand columns. Yes,
24 that's correct.

25 Q I'd like you to look over at Page 78 in this

1 same Exhibit 5.

2 A (The witness complied.)

3 Q The table there called Williamson County
4 Surplus/Shortages, does that show what you were talking
5 about, which is that they take the demand, they subtract
6 existing supplies, and they get either a surplus or a
7 shortage for each of these water users?

8 A Okay. Could you restate your question?

9 Q Yes. Does this show -- as we just discussed,
10 is this another table showing for these water users in
11 Williamson County either a surplus or shortage of the
12 ability of existing supplies to meet demands in the
13 years 2030 and 2060?

14 A Well, reading the introductory paragraph, which
15 is why I hesitated for a second there, the -- it appears
16 to me this table -- that there's a surplus that's
17 blacked out and not shown. The only numbers in this
18 table are the shortages.

19 Q Thank you.

20 But I think there may be one -- a couple
21 of exceptions to that. Would you look down and see the
22 City of Hutto there?

23 A City of Hutto, yes.

24 Q Doesn't it have a projected surplus in 2030 --

25 A You're right.

1 Q -- of 3,397?

2 A And Granger does, too, right above it.

3 Q Exactly.

4 A Chisholm Trail does, too, now that I look at
5 the numbers.

6 Q And if you look down at Manville --

7 A Okay. I stand corrected.

8 Q -- Manville WSC does as well?

9 A Manville, yes.

10 Q So it does show -- I don't know what's blacked
11 out.

12 A Now that you brought that to my attention, I
13 don't know either.

14 Q It says -- Mr. Lein points out to me that it
15 says on the right of those "See Lee County for plan" or
16 something like that when they're blacked out.

17 A Yes.

18 Q As you know, some of these people are on two --
19 in two counties. Correct?

20 A Or three or four some of them.

21 Q Yes.

22 A Depending on where the -- I understand it now.
23 Yes, I agree with Mr. Lein if that's what he said, that
24 for Aqua, they probably addressed Aqua only in the Lee
25 County plan rather than parceling it out to the

1 individual counties that they might serve in.

2 Q Thank you.

3 Would you look at Page 110 -- that's in;
4 the little numbers -- of this same exhibit?

5 A Mine jumps from 105 to 93. Should I keep
6 going?

7 Q That's weird. Yeah, keep going because mine
8 doesn't do that.

9 A Okay. Well, let's see.

10 Q It's like this. It's a bad copy.

11 A This one?

12 Q Yes.

13 A Yeah, I just noticed those two pages, 105
14 to 93.

15 JUDGE O'MALLEY: Yeah, it does.

16 A Then you keep going from 93 and you end up
17 here.

18 JUDGE O'MALLEY: Is it just out of order?

19 MS. MELVIN: We'll certainly be willing to
20 submit another copy of this, Your Honor, because mine
21 has the full thing. So it sounds like maybe we've got a
22 copy that's messed up in some way.

23 Q (BY MS. MELVIN) But you have found 110. Is
24 that correct?

25 A I think I'm on the same page you just showed

1 me. Yes, ma'am, it's 110.

2 MS. MELVIN: All right. Your Honor, we're
3 happy to substitute another copy we've got right here
4 for the one that's up there. Mr. Lein, I believe, is
5 just checking and found out it has the right numbers.

6 Is that correct?

7 MR. LEIN: Where was the jump?

8 MS. MELVIN: 93 to 105.

9 MS. REESE: I have to object now. Did you
10 provide me an incomplete copy?

11 MR. LEIN: I sure hope not.

12 (Laughter)

13 MS. REESE: Just kidding. I know it's
14 publicly available, and no problem.

15 WITNESS THORNHILL: It's this page if you
16 need to find -- I'm sorry, I just noticed it.

17 MR. LEIN: No, I appreciate it. Thank
18 you.

19 WITNESS THORNHILL: It goes from here to
20 here.

21 JUDGE O'MALLEY: This is going to be the
22 court reporter copy.

23 Okay. Go ahead, Ms. Melvin.

24 MS. MELVIN: On table -- thank you.

25 Q (BY MS. MELVIN) On Page 110, there's Table

1 4C.39-1, Summary of Recommended Water Management
2 Strategies Involving New Sources of Supply in the 2011
3 Brazos G Regional Water Plan. Are we on the same page?

4 A Yes, ma'am.

5 Q Based on your understanding of the regional
6 plan, what does "recommended water management
7 strategies" mean?

8 A In the -- once they've identified a strategy
9 and they have a portfolio of those that the regional
10 planning group is recommending as being the primary or
11 most likely strategies, those become the recommended
12 strategies.

13 Q And those are strategies that will address any
14 shortage now or in the future that they've identified?

15 A Yes, that's their purpose, is to add to the
16 existing water supply.

17 Q And could you look at this table and show me if
18 anywhere it shows a recommended water management
19 strategy that involves providing water from the
20 Carrizo-Wilcox Aquifer to Williamson County?

21 A Well, I believe if you look at the bottom of
22 the first page, the BRA system operation, Lake Granger
23 Augmentation, if you look at that footnote on Page 112,
24 it's development of groundwater from the Carrizo-Wilcox.
25 You specifically asked if it said Williamson County.

1 BRA serves in Williamson County and serves the entities
2 that I was talking about in Williamson County. So I
3 don't know if that exactly answers your question or not.

4 Q Well, it does. And let me be fair to you and
5 ask you to look at Page 123, which describes that
6 strategy -- or ask you, does it describe that strategy?

7 A Okay. I don't have a 123.

8 JUDGE O'MALLEY: Does that go into
9 Exhibit 6?

10 MS. MELVIN: I'm sorry, that's Exhibit 6.
11 Yes, Exhibit 6, Page 123. These are sequentially
12 numbered. I apologize.

13 A Okay. I'm on 123.

14 Q (BY MS. MELVIN) And if you look down at maybe
15 the sixth line under 4B-5.5.2.1, it says, "This
16 alternative will add 54,390 acre-feet per year by
17 augmenting the long-term firm yield of Lake Granger
18 groundwater pumped from the Trinity Aquifer and the
19 Carrizo Aquifer." Did I read that correctly?

20 A Yes.

21 Q Does it say in here how much water they're
22 going to pump from the Carrizo Aquifer and where it's
23 going to come from?

24 A Well, just in that part -- I haven't read the
25 whole thing -- but just in that part, it gives -- the

1 way I would read this is the 54,390 is the sum of the
2 Trinity and the Carrizo. I don't know what the
3 individual split would be.

4 Q Let me ask you to turn over again in Exhibit 6
5 to Page 134, letting me be fair to you again here.
6 Actually if you look at Page 133, it has a strategy
7 called Carrizo-Wilcox Aquifer Development.

8 A Yes, on 133. I have it.

9 Q Right. If you look at 134 under 4B.15.1.1, it
10 says, "This option is an alternative to the Lake Granger
11 conjunctive use project." Is that correct?

12 A Yes.

13 Q And it says, "The maximum shortfall for
14 Williamson County from 2050 to 2060 is estimated to be
15 35,000 acre-feet per year." Is that correct?

16 A Yes.

17 Q And what is -- is there a term of art in these
18 regional plans about an alternative water management
19 strategy as opposed to a recommended one?

20 A Yes.

21 Q And what is the difference between those two?

22 A The plans many times include already identified
23 alternatives that, upon further review, might be
24 substituted or added to the recommended strategies.
25 When they -- when they develop a recommended strategy

1 list, it's not final, fixed and never changing. Many
2 times they propose other alternatives that you might
3 want to consider.

4 Q Right. So there's recommended, but then
5 there's additional water management strategies. Is that
6 how you would put it?

7 A Yes, I would agree with that.

8 Q Can I ask you to go to Exhibit 8 and look at
9 Page 212?

10 A Table 411?

11 Q Correct.

12 A Okay. I have it.

13 Q When it says "2010 Needs, 2020 Needs" and so
14 forth, is that the same as shortage as it was used in
15 the Region G plan? And, by the way, for the record,
16 Exhibit 8 is the 2011 Region K Water Plan. Let me give
17 you a minute to look on the previous page --

18 A Yeah, that's where I'm looking.

19 Q -- under Travis County.

20 A Okay. I -- repeat your question, please?

21 Q When it says "2010 Needs, 2020 Needs" in Table
22 4.11, is that the same as the shortages we were talking
23 about in the table in the Region G plan?

24 A I believe so.

25 Q This table shows that Austin does not need any

1 additional water until 2050. Do you agree that's what
2 it shows?

3 A Yes, that's what it shows.

4 Q And do you have a different opinion?

5 A Yes.

6 Q And what is your opinion?

7 A My opinion is Austin will be continuously
8 assessing their alternatives, and they will -- a need
9 for water by Austin is driven not just by this plan,
10 which assumes certain plans in place, but by the
11 availability of additional water from projects like the
12 End Op project that we're discussing here today.

13 And the need that is described in this
14 report, while it's an important and valuable piece of
15 information, assumes that Austin would continue with the
16 recommended strategies -- or excuse me -- the current
17 strategies that they have in place, one of those being
18 in Austin's case a continued reliance on the LCRA water
19 as their sole source. And so if that is at risk or
20 threatened, that's another reason I believe Austin would
21 seek additional or supplemental supplies.

22 Q To your knowledge, do any of the water
23 management strategies considered in this report include
24 providing Carrizo-Wilcox water to the City of Austin?
25 And if you'll look at Page 217, I believe that's the

1 start of a spreadsheet that identifies water management
2 strategies.

3 A This is a 12-page small font spreadsheet. Do
4 you want me to look for Austin in here or --

5 Q If I told you that there is no Carrizo-Wilcox
6 water management strategy for the City of Austin, does
7 that sound likely to you?

8 A I don't remember one, but it's been a long time
9 since I studied this table in detail.

10 Q Well, thank you. I think that's the best you
11 can do on that. And, yes, this is a little small for my
12 eyes as well.

13 Have you ever spoken to anybody in the
14 City of Austin water utilities about the availability of
15 this Carrizo-Wilcox water?

16 A No.

17 Q Okay. Have you ever spoken to anybody at the
18 City of Round Rock -- Round Rock water utility about the
19 availability of this water?

20 A No.

21 Q Have you ever talked to anybody at the City of
22 Cedar Park water utility about it?

23 A No.

24 Q Have you ever talked to anybody at the City of
25 Leander water department?

1 A No.

2 Q Have you ever talked to the Brushy Creek
3 Regional Water Authority about that?

4 A You mean the Brushy Creek Regional Utility
5 Authority?

6 Q Oh, utility authority, yes. Thank you.

7 A No.

8 Q You're correct.

9 Do you know -- you've mentioned that some
10 of these entities have come together to form the Brushy
11 Creek Regional Utility Authority. What has the Brushy
12 Creek Regional Utility Authority done, to your
13 knowledge?

14 A They're a -- an entity created in a partnership
15 of some sort. I'm not sure of the legal status or what
16 kind of partnership it is legally. But what they've
17 done is construct a surface water treatment plant that's
18 designed to take water out of Lake Travis out of the
19 Sandy Creek arm, pump that raw water up to the treatment
20 plant and then disperse it to the three customers.

21 Q Okay. I'm going to ask you a little bit about
22 the Highland Lakes firm yield just so that I'm sure that
23 I understand it.

24 My understanding of firm yield -- and
25 correct me if I'm wrong -- is that you take the

1 reservoir and you assume that inflows are going to be --
2 evaporation and so forth is going to be just like it was
3 during the drought of record, which I think you said in
4 this case is '48 to '57. Is that correct?

5 A '46 to '57, but --

6 Q '46 to '57. And so you take those numbers and
7 you see how much would be available every year during
8 that period. Is that the firm yield?

9 A You used the work "exact" before.

10 Q Yeah, "exact" is probably better.

11 A As best you can, you look at the historical
12 record of inflow, evaporation and the storage capacity
13 that's in the lake, because over time they can fill up
14 with sediment, so that changes, and a number of other
15 more detailed issues that you might consider, like
16 seepage through the dam that could be a loss or water
17 theft out at the lake. There's a lot of detail that you
18 get into.

19 But fundamentally you take a reservoir,
20 you take the inflows to the reservoir that would come
21 from the river and you do that on a daily or monthly
22 basis. Daily is better than monthly; it's more
23 accurate. You estimate the evaporation directly from
24 the surface of the reservoir, and it gets bigger and
25 littler as it fills up and shrinks. And you calculate

1 that in on a daily or monthly basis.

2 And when you operate the entire period of
3 record that you have, and in our case just assuming for
4 a moment it goes from 1940 to today, you run that whole
5 period of record -- today we use computers. We used to
6 do it by hand -- but you run that whole period of record
7 and determine what period of time where the reservoirs
8 last full versus when do they next fill up. And you do
9 that by putting an artificial demand on the lake and you
10 just keep increasing the demand until you get to the
11 point that when the lake is last full and next fills up,
12 it just went dry in between, like the day before the
13 flood came and filled it back up, that demand that
14 you've artificially put on the lake is your firm yield.

15 Q So when you do the firm yield, you use all of
16 these historical things that you just talked about, but
17 you don't actually use your historical demand. Is that
18 correct?

19 A Correct.

20 Q Now, could you explain -- you talked about what
21 firm yield water -- or firm water is under the LCRA
22 rules. Can you explain what interruptible water is?

23 A Yes, interruptible is -- essentially it's a
24 different classification. It's water that was made
25 available but subject to curtailment or full

1 interruption at LCRA's behest. The source of that water
2 is that when the firm demand on the lakes is less than
3 the firm yield, in other words, the actual use is less
4 than the firm yield, theoretically the surplus water
5 could be sold on an interim basis to someone else. So
6 essentially that forms the basis of the interruptible
7 water.

8 Q And you showed us several different
9 calculations that have been done over the years by LCRA
10 and by the TCEQ staff of the firm yield of Lake Travis
11 and Lake Buchanan, both historically and, I think, one
12 was like a 2010 to 2013 time period. Do those take into
13 account any releases for interruptible clients?

14 A No. The methodology would be they were pure
15 firm yield analyses would be my understanding.

16 Q Would it affect the firm yield reservoir if
17 there had been releases for interruptible supply in
18 the --

19 A No. The firm yield calculation --

20 THE REPORTER: Interruptible supplies --

21 MS. MELVIN: I'm sorry. I put my hand up
22 here.

23 Q (BY MS. MELVIN) In the historic period --
24 interruptible supply in the historic period.

25 A Okay. Now I've lost my train of thought.

1 Would you ask the question again?

2 Q You were going to say no. I know you started
3 on that.

4 Would historically -- would the fact that
5 perhaps interruptible water had been released change the
6 firm yield calculation?

7 A No. The firm yield calculation is a
8 theoretical calculation to use as a standard in water
9 permitting and, like I testified, for contracting in
10 LCRA's case. The fact that you have interruptible water
11 added into an actual demand pattern has nothing to do
12 with -- well, it doesn't affect the calculation of the
13 firm yield at all.

14 Q It treats all of it as firm yield, everything
15 that you're artificially making the demand on?

16 A No, there's no connection between the two. The
17 firm yield is a -- is a theoretical calculation of how
18 much water you could take on a constant basis, year
19 after year, without running short from that reservoir.
20 As soon as you start talking about actual operations
21 where you might add in interruptible water or some other
22 demand pattern, 99 percent of the time that is never
23 considered in a firm yield calculation. In firm yield
24 you will sometimes -- the reason I said 99 percent --
25 you will apply a municipal demand pattern many times to

1 that demand in the lake, so that on an annual basis,
2 it's lower in the winter than it is in the summer. But
3 again, every year you repeat the same pattern. Usually
4 it's just a flat demand.

5 Q But interruptible releases in real life do make
6 a difference to the combined storage of the reservoirs?

7 A Absolutely.

8 Q Is that correct?

9 A Absolutely.

10 Q When is the last the LCRA made an interruptible
11 release? Do you know?

12 A I think at some level they still do today, but
13 the main change in LCRA's operations was following the
14 2011 worst year of drought on record where they had
15 released -- I don't know -- 400,000 or so acre-feet to
16 the irrigators. The LCRA Board declared that they would
17 make no more such releases.

18 There are exceptions to that, like part of
19 the Garwood water right requires, by contract,
20 additional releases, but -- so I think they're making
21 some sort of interruptible releases, but they are much
22 curtailed today.

23 Q Correct. And so did that last interruptible
24 release have an impact on the combined storage in the
25 aquifers?

1 A The combined storage of the aquifer? What --
2 I'm sorry?

3 Q Or the water levels as we -- I'm sorry -- the
4 combined storage of Lake Travis and Lake Buchanan.

5 A Yes, it was a direct demand. The lake levels
6 fell as a result of it. Yes.

7 Q Thank you.

8 A couple other very short questions. In
9 one of your exhibits -- and I'm trying to figure out
10 which one it is right here -- 104, Exhibit 104. This is
11 End Op exhibits. I believe your opinion of this exhibit
12 was that the LCRA has already committed more than the
13 firm yield of those two reservoirs. Is that correct?

14 A Correct.

15 Q Under Total Commitment of Firm Water, three
16 down, there's a category called Reserve for Future Uses,
17 50,000 acre-feet. Has that water been sold to anybody?

18 A No, I don't think it has. When I was last
19 there, it had not.

20 Q Earlier in your testimony you talked about
21 beneficial use. Is that correct?

22 A Yes.

23 Q And what beneficial uses were?

24 A Yes.

25 Q Now, you and I are familiar with the

1 considerations that the Texas Commission on
2 Environmental Quality makes when it's deciding whether
3 to grant a water right, and one of those is the proposed
4 appropriation is intended for a beneficial use. Are you
5 familiar with that?

6 A Yes.

7 Q Did you know that the language about beneficial
8 use in Chapter 36 of the Water Code is different?

9 A No.

10 Q Finally, I just want to clarify something that
11 came up right at the end that I thought I understood,
12 but maybe I didn't. I believe what you said was -- is
13 this correct -- that if 46,000 acre-feet a year of
14 permits were granted to End Op, then they could -- then
15 somebody would purchase that water on day one. Is that
16 correct?

17 A Yeah, that was probably a little extreme
18 because I couldn't deliver it to them, you know,
19 depending on how you define "day one." But the first
20 day that it was physically possible, with all the laws
21 and equipment and pipelines and pumps in place,
22 theoretically I think the demand would begin on that day
23 and continue.

24 Q And are you saying --

25 A It would be -- "base loaded" is the term of

1 art. We would baseload this project.

2 Q So you're saying that -- by "baseload," you
3 mean this, which is you would expect the users to start
4 using 46,000 acre-feet that day?

5 A I expect that. I think it's -- my expectation
6 is based on a -- that it would be a high probability.
7 Once you put in a system like this and the water is
8 available to be delivered and the payment is -- under
9 the SAWS/Vista Ridge contract is that whether SAWS takes
10 it or not, they pay for it, similar to the take-or-pay
11 contract concept; that I might as well take the water
12 and reserve my other sources rather than pay for water
13 that I'm not using out of the pipeline. So, yes, I
14 think there would be a great incentive to go ahead and
15 take that water from day one.

16 Q Are there other sources that the City of Austin
17 uses for its water supply now where it's already built a
18 big facility to make use of those water supplies --

19 A Do you mean --

20 Q -- like Water Treatment Plant No. 4?

21 A Yes. In order to use the water out of
22 Lake Travis, that water must be treated. Austin has
23 three major water treatment plants. They used to have
24 four, Davis and Ullrich being the old ones. They just
25 finished construction of the first phase of Water

1 Plant 4 -- well, let me take that back. I don't know if
2 it's fully finished or not. But they're building Water
3 Plant 4 -- what they call Water Treatment Plant 4 on
4 Lake Travis. All the water Austin uses must run through
5 one of those plants.

6 Q But it's your testimony, as I just understood
7 you, that if the City of Austin had this 46,000
8 acre-feet physically available to it, it would take this
9 water instead of the water out of the Highland Lakes?

10 A Yes.

11 Q Okay. It's the same as your testimony for
12 Cedar Park?

13 A Yes.

14 Q Why?

15 A Again, Cedar Park is a little different than
16 the others because they're pretty much land locked and
17 their demand is not going to go up that much. So for
18 Cedar Park to be incentivized to take the water, it
19 would require that they see that this water is less
20 expensive than continuing to use their existing
21 facilities. That means they would have to weigh the
22 savings that would occur by shutting down or not
23 participating in a portion of the Brushy Creek Regional
24 Utility Authority plant, for example, against the value
25 added by this water.

1 And I -- again, with Cedar Park, since
2 their demand is less than 46,000, there's no way they
3 could do it themselves. But if they were part of a
4 regional approach that might be shared by Round Rock,
5 Leander, Cedar Park, Austin, however they got themselves
6 together, I believe the full amount could be sold into
7 that market very easily.

8 Q Well, let's consider Leander and Cedar Park and
9 Round Rock together just for purposes of these
10 questions, if you would, kind of one of your -- kind of
11 regional authorities.

12 A Okay.

13 Q Do those -- do those three cities have
14 contracts with BRA?

15 A I think they all do, yes.

16 Q Do you know what they pay for the BRA water
17 they purchase even if they don't use it?

18 A No, I don't.

19 Q Do those cities have contracts with the LCRA?

20 A Yes.

21 Q Do they pay for the water they purchase from
22 the LCRA even if they don't use it?

23 A I think the way that works, they pay a
24 reservation fee, which is 50 percent of the use fee.

25 I'm pretty sure that's my memory, yes.

1 Q Did you look at whether or not the BRA water
2 that those entities get is less expensive than the
3 End Op water?

4 A No, I did not.

5 Q I also think that you told me that some of
6 those entities also get some groundwater?

7 A Yes. I don't know the volumes. It's my
8 impression that those are from work I've done in the
9 past, but I didn't look it up for this proceeding. But
10 the volumes of groundwater are fairly low. When Round
11 Rock first started, it was 100 percent groundwater. In
12 subsequent years, they've bought water from BRA and then
13 from LCRA, so they've added to their groundwater
14 basically.

15 Q But it's still your testimony that if I were
16 the City of Round Rock, I would baseload off the End Op
17 project and not my BRA contracts?

18 A That's what I said, yes. To explain that
19 again, I think Round Rock's number, if I remember
20 right -- well, I can't remember the number now. But
21 Round Rock -- all of these entities are going to have to
22 assess that when we bring this water supply to them
23 permitted, with a cost, which is the information they
24 need, they're going to have to assess that against the
25 projects that they have and the projects that they're

1 planning to do to continue to supply water.

2 I believe our water is going to be
3 competitively priced where even Cedar Park, who it
4 doesn't look like they need a whole lot of new water,
5 would be incentivized to look at this water. And the
6 way they would look at it is to compare their share of
7 the cost of the regional -- the Brushy Creek Regional
8 Utility Plant and all their other costs and all the
9 alternatives to them. And so if they ended up with, in
10 your example, that they could go to BRA and somehow get
11 more water and they deem that a better option than our
12 water, they would probably go with BRA. They might do
13 both. I don't know.

14 MS. MELVIN: Thank you; that's all the
15 questions I have.

16 JUDGE O'MALLEY: Ms. Reece, redirect?

17 MS. REESE: Yes, Your Honor, just a few
18 questions.

19 REDIRECT EXAMINATION

20 BY MS. REESE:

21 Q In the GM's exhibit, these regional water
22 plans, does any of the information in these plans change
23 your opinions today?

24 A No. I used them myself to reach my
25 conclusions.

1 Q And is this the only thing you considered in
2 reaching your conclusions today are the plans that are
3 the GM's exhibits?

4 A No.

5 Q And why not?

6 A Well, I considered all the other stuff we've
7 talked about: The cost, the drought risk caused by a
8 Drought Worse than the Drought of Record, quite a few
9 other factors.

10 Q When were these plans that Ms. Melvin asked you
11 about, when were they put into place?

12 A The way it works, each region creates its own
13 plan, submits it to the Water Development Board, the
14 Water Development Board creates a statewide plan. And
15 it's my understanding that the regional plans are due
16 the year before. So I think -- well, let me look --
17 yeah, these -- if you look in the lower corner of their
18 exhibits, the pages of these exhibits, it says
19 July 2010. So that's when that regional plan for that
20 region was put in place. They were incorporated into
21 the 2011 Water Development Board plan, which covers the
22 whole state. It's just their administrative process to
23 roll it all up.

24 Q And is there more accurate information
25 available today than what is available in these plans,

1 the 2011 plans?

2 A With respect to population and demand numbers,
3 there is new and -- or different data that's been
4 proposed. I think the judge is still out on whether
5 it's all more accurate. What I have seen is that every
6 time they do another cycle of planning, those numbers
7 tend to change, and that was part of what I showed in
8 some of my exhibits.

9 Also there is an appeal process. "Appeal"
10 may be too strong of a word; it's not a legal process.
11 But there's a process by which when the Water
12 Development Board puts out their raw numbers, which are
13 the numbers from the 2016 projections that I've used,
14 once those are put in front of each of the regional
15 planning groups, those entities have the right to
16 challenge those numbers or offer different numbers, and
17 then they go through this process that they evaluate
18 that and they recommend up to the Water Development
19 Board whether they should be changed.

20 So when you say, you know, more exact or
21 more precise, you know, there is that process going on.
22 This year's cycle is pretty mature. It's almost over.
23 So I don't know where they are in any of the challenges.
24 I don't have any idea if anyone has challenged those
25 2016 numbers or not.

1 Q And when will those 2016 numbers come out?

2 A The regional -- if they stay on the same
3 pattern, the regional plans for each region, there will
4 be a draft and then a final. The final would be out in
5 the year 2015 and the final would be out in 2016.

6 Q If --

7 A I'm sorry, I said that wrong. The regional
8 final would be out in 2015, but the State's rollup into
9 the State Plan would come out in 2016. That's why I
10 used 2016 to describe all of this.

11 Q As far as you know, based on your expertise in
12 this area, do the projects specifically need to be
13 identified in a regional plan in order to obtain a
14 permit from a groundwater district?

15 A As far as I know, it doesn't.

16 Q Is it your understanding that the exhibits that
17 were actually provided by the General Manager of the
18 regional plans, that they were excerpts from the
19 comprehensive plan?

20 A Yeah, based on the fact the pages aren't
21 continuous.

22 Q So even aside from that, even the copies that
23 they contend are the entire copies of what they intended
24 to be the exhibit, those don't comprise the entire
25 Reason G and K plans for 2011, do they?

1 A No. They're each about 800 pages. Each volume
2 is about 800 pages, if I remember right.

3 Q And upon your review of the entire plans
4 Region G and K, let me ask you, have you reviewed other
5 sections of the Region G and Region K plans that were
6 not provided as exhibits by the GM?

7 A I think so, yes.

8 Q And based upon your review of the entire plans,
9 the 2011 Region G and the 2011 Region K plans, are the
10 concepts of the implementation of groundwater, such as
11 the End Op project, contemplated within those plans?

12 A Yes, there's a -- there's a couple of projects
13 that are very similar where water is moved from multiple
14 counties away back to an end user.

15 Q And, in fact, isn't one of those concepts LCRA
16 contemplating the importation of groundwater aside from
17 the importation that it has undertaken with regard to
18 Lost Pines but additional water above and beyond that?
19 Isn't that concept in the plans?

20 A I recall that there's a couple of projects
21 proposed. And, frankly, I'm struggling to remember
22 exactly where they are. When you said LCRA, I know that
23 LCRA has considered, like in their water resources plan,
24 the importation of groundwater, and I know that plan is
25 referenced in the regional plans. So by extension I

1 think they are. It's -- the water resources plan that
2 LCRA did is directly cited, and some of their examples
3 are included in a document that I've reviewed recently.
4 That's my answer.

5 Q Okay. At the time that in 2011 when the SAWS
6 came out, was the End Op project specifically included
7 in a different region's plan?

8 A A predecessor to this project was included in
9 the Region -- what would it be -- L plan, which serves
10 essentially the area south of the San Antonio area,
11 where through GBRA water would be delivered from this
12 same -- excuse me -- this same area over to San Antonio,
13 if I remember right, yes.

14 Q And when you say "the predecessor project," is
15 that because you're referring to -- because you were not
16 involved during that time, and the Cap Rock group, in
17 your view, is the new investors in the new project with
18 End Op? Is that your understanding?

19 A I certainly was not involved at the time. I
20 didn't understand the second part of your question.

21 Q I'm trying to understand if you are -- let me
22 ask it a different way.

23 The Region K project that you're
24 specifically with, the project that's specifically in
25 the Region K plan, you referred to that as being the

1 predecessor to this project. What did you mean by that?

2 A I mean, the concept of the project is the same,
3 taking water from the Simsboro in this area and
4 delivering it some distance away. It's my understanding
5 from conversations with folks that End Op had entered
6 into negotiations and had a contract with GBRA for GBRA
7 to be the intermediary, and that was the plan
8 essentially that was in that version of the regional
9 plan.

10 Q Why have you not talked to the particular
11 cities that are -- that you've identified as potential
12 customers for the End Op water?

13 A I'm going to start Monday --

14 Q Why?

15 A -- figuratively, I mean.

16 Q Why have you not done so up to this point?

17 A The reason is we've only recently developed
18 this information in the last few weeks. Just
19 coincidentally it was the same time frame getting ready
20 here. But we were on a path to develop this kind of
21 information that we could go to these customers so I
22 could answer those three questions, "Do you have leases,
23 do you have permits and do you have a price?" To get a
24 price, I needed to get where I am today. Now I'm ready
25 to go talk to them.

1 Q And you would need a permit in order to meet
2 all of the three prerequisites. Correct?

3 A To walk in with the perfect presentation, yes.
4 But I anticipate that we'll begin discussions very, very
5 soon -- if not literally Monday, you know, very quickly
6 because, in my experience, it sometimes takes many
7 months to put the information out there, it takes time
8 to get comfortable. So even the fact that we don't have
9 the permits, I would explain to the potential customer
10 the process that we're in and what's going on. But I do
11 have leases and a price, so I've got two of the three.
12 The people that came to me historically didn't have any
13 of them. So I think I'm ready to go talk to these
14 folks.

15 Q Let's go back to the district rules for just
16 one minute. It seems like there may be confusion about
17 the renewal process for a permit. And regardless of
18 what that process is, in terms of whether we renew a
19 permit, is the subject to a contested case hearing or
20 not because I believe that's what Ms. Melvin was getting
21 at in her questions.

22 So putting that aside, is it your
23 understanding that if End Op obtains a permit for -- an
24 initial permit for less than 46,000 acre-feet, if End Op
25 wants more than what was initially in the first permit,

1 do they have to go back and start the application
2 process over?

3 A Well, I'm not certain of the legal niceties.
4 There might be some appeals and stuff in there. I don't
5 know how that works. But I've always assumed that if
6 the permit was only granted partially, that if you
7 wanted to come back for the rest of it, you either
8 appeal that or you come back with a fresh permit
9 application and start over.

10 MS. REESE: Thank you, Mr. Thornhill. No
11 more questions.

12 MS. MELVIN: You Honor, we'd like to ask
13 you, as we did in our submission of documentary
14 evidence, to take a judicial notice of -- official
15 notice -- official notice of the entirety of the
16 regional plans for Region G and Region K. We have
17 provided the links to all those on the Texas Water
18 Development Board site. I just want to make sure all
19 that is available to you if you want to look at the rest
20 of it.

21 JUDGE O'MALLEY: Do I hear any objection
22 to that?

23 MS. REESE: No, Your Honor.

24 JUDGE O'MALLEY: Okay. We'll take
25 official notice of the entire plans for -- it's the

1 regional plans for G and K?Mr. LeinG and K, yes, sir.

2 JUDGE O'MALLEY: Okay. Then that -- I
3 will take official notice of those.

4 MS. MELVIN: Thank you.

5 JUDGE O'MALLEY: Did you have any recross?

6 RECROSS-EXAMINATION

7 BY MS. MELVIN:

8 Q I just want to ask you two questions,
9 Mr. Thornhill. Would you look at Exhibit 7 of the
10 General Manager's exhibits? It's under Tab 7. I know
11 there's a lot of paper.

12 A I'm there.

13 Q When you prepared your exhibits and you said
14 the 2016 populations of demands, is this the information
15 from Texas Water Development Board that you used for the
16 2016 demand?

17 A Not exactly. And the only reason I waffle is
18 this is for Region G. I looked at Region K and, you
19 know, this -- this is sorted by a planning region, not
20 by a basin or whatever. But the individual water
21 utility groups that are in the Region G planning area in
22 here would be the same as those that I looked at.
23 Again, some of those, like Austin, overlaps into two
24 regional planning areas. So if Austin is in here, the
25 number would not be the same. You've got to be careful

1 when you're sorting and stacking these numbers that you
2 have the same geographic areas.

3 Q I agree.

4 Would you look under Tab No. 9?

5 A Okay.

6 Q That says 2016 Regional Water Plan, Municipal
7 Water Demand Projections for 2027 in Acre-feet.
8 Region K, Lower Colorado --

9 A Yes.

10 Q -- did you look at these numbers?

11 A You've prompted that the prior one was for
12 Region G. This is for Region K. They're adjacent to
13 each other. So I think if you looked at both these sets
14 together, you would find the numbers that I used.

15 MS. MELVIN: Thank you. That's all my
16 questions.

17 JUDGE O'MALLEY: Anything further from
18 this witness?

19 MS. REESE: Nothing further, Your Honor.

20 JUDGE O'MALLEY: Thank you, Mr. Thornhill.
21 You may be excused.

22 WITNESS THORNHILL: Thank you.

23 JUDGE O'MALLEY: Mr. Johnson, you're going
24 to be doing the next witness?

25 MR. JOHNSON: Yes, Your Honor. We call

1 Mr. Joseph Beal.

2 JUDGE O'MALLEY: Okay.

3 (Witness Beal sworn)

4 JUDGE O'MALLEY: Please be seated.

5 Go ahead, Mr. Johnson.

6 MR. JOHNSON: Thank you, Your Honor.

7 JOSEPH J. BEAL,

8 having been first duly sworn, testified as follows:

9 DIRECT EXAMINATION

10 BY MR. JOHNSON:

11 Q Would you state your full name, please?

12 A My name is Joseph J. Beal.

13 Q Can you briefly describe your educational
14 background?

15 A Yes, sir. I have a Bachelor of Science degree
16 in civil engineering from Texas Tech obtained in 1968
17 and an MBA from The University of Texas at Austin in
18 municipal finance and construction management that I
19 received in 1974.

20 Q Can you give us a brief description of your
21 employment history since graduation from Texas Tech?

22 A Yes, sir, I began my career as a staff engineer
23 at Forrest & Cotton consulting engineers in Dallas. I
24 worked there until I went on active duty in the
25 U.S. Army in 1968. I served in the Army for two years.

1 And when I returned back to the U.S., I went back to
2 work for Forrest & Cotton Consulting Engineers. I
3 worked until 1974.

4 And then was employed by the Texas Water
5 Quality Board, which is a previous agency to TCEQ. And
6 there I worked for two years and created the Galveston
7 Bay project, which was a -- one of the first waste load
8 allocations for the Houston Ship Channel.

9 In 1976, I joined the firm of Espey,
10 Huston & Associates, which was a small engineering and
11 environmental consulting company at that point. I
12 worked there for almost 20 years. I was senior
13 vice-president. And when I left the company, it was a
14 large national and international engineering and
15 environmental consulting company.

16 Then in 1995 I joined the Lower Colorado
17 River Authority as the head of all of the water and
18 hydroelectric portions of the entity. And in 1999, I
19 became general manager of LCRA. I served as general
20 manager under the Board until 2008. In 2008 I retired.

21 Since that point in time, I've been
22 president of Beal Consulting, Inc., and I work on
23 projects from time to time through that entity.

24 Q Mr. Beal, prior to joining LCRA in your work as
25 a consulting engineer with both Forrest & Cotton and

1 Espey-Huston, what types of projects did you work on or
2 were you responsible for?

3 A I generally specialized in water resources
4 projects. I did work for river authorities,
5 municipalities, water utilities. I worked for the
6 electric utility industry on water supply projects,
7 various industries for water treatment, water supply
8 projects. I designed water treatment plants. I
9 designed pump stations and large diameter pipelines.

10 Q Is it fair to say that you assisted clients on
11 occasion in locating and developing additional water
12 resources?

13 A Yes.

14 Q And did you become familiar with the planning
15 process that these entities would engage in as they
16 considered whether they needed additional water
17 resources?

18 A I did.

19 Q Did you participate in those planning processes?

20 A I prepared the plans.

21 Q And all of your employment background and
22 history is reflected in your CV that is included in
23 Exhibit 51. Is that correct?

24 A Yes.

25 Q You know, at this point, I think it's safe to

1 say that you -- your expertise in water resources is the
2 basis of your testimony this afternoon. Correct?

3 A It is.

4 Q Do you consider yourself to be an expert in the
5 areas identified in Exhibit 51 laid out in Paragraph 2
6 of that exhibit? If you would take a look at that.

7 A Yes, I do.

8 Q And do you have opinions on the 12 items listed
9 in Paragraph 3 in Exhibit 51?

10 A Yes, I do.

11 MR. JOHNSON: Now, Your Honor, at this
12 time, we tender Mr. Beal as an expert on the matters
13 identified in Paragraphs 2 and 3 of Exhibit 51.

14 JUDGE O'MALLEY: Thank you. Are there any
15 objections to Mr. Beal testifying as an expert?

16 MR. LEIN: No, Your Honor.

17 JUDGE O'MALLEY: Mr. Beal may testify as
18 an expert.

19 MR. JOHNSON: Thank you.

20 Q (BY MR. JOHNSON) Mr. Beal, let's talk about
21 your tenure at LCRA briefly. What were your -- you
22 mentioned that you were responsible for basically all of
23 the water -- water aspects of LCRA. Did that include
24 planning regional water supplies for LCRA?

25 A It did. My responsibility was to not only

1 operate the reservoirs for flood control and water
2 supply, but I was also responsible for determining what
3 our current and future needs were going to be and where
4 we were going to be looking for additional water.

5 Q So during the tenure of your employment at
6 LCRA, did you consider there to be a need for LCRA to
7 develop additional water supplies for the region?

8 A I did. And what drove me to that specifically
9 was information that you heard in previous testimony
10 about the nature of the reservoir-filling flood that
11 occurred in 1952 during the last drought. I was
12 concerned about whether or not we would have a
13 hydrologic situation exactly like that in the future,
14 and so I began to look for additional water supplies.

15 Q So is it safe to say that after you joined LCRA
16 in 1995, supplementation of supply from the lakes became
17 an issue of concern for you?

18 A Yes.

19 Q And what did you do while you were at LCRA to
20 attempt to develop additional water supplies?

21 A A number of things actually. No. 1, we made
22 conservation a much more focused area. We also began to
23 look for senior water rights to see if we could purchase
24 those water rights. And indeed we ultimately purchased
25 the Garwood irrigation rights and then the Pierce Ranch

1 irrigation rights, and those were put into our portfolio
2 of water supplies.

3 We -- in the area of conservation, we came
4 up with some pretty innovative methods of agricultural
5 conservation. We employed Texas A&M to create a
6 different variety of rice that would use less water,
7 because that's primarily what was grown in the
8 irrigation districts. We assisted the farmers in laser
9 leveling their land, which made for more efficient
10 irrigation. We constantly looked for ways to reduce the
11 amount of water that was used for irrigation so that we
12 could have more water for other purposes and -- and all
13 of these at a cost.

14 We looked at underground water,
15 underground water resources, both up here in the
16 Carrizo-Wilcox as well as in the Gulf Coastal Aquifer.
17 And ultimately, after I became general manager, we
18 entered into a project with the San Antonio Water System
19 to jointly create a massive amount of additional water
20 that could be utilized by both our basin and by the
21 San Antonio Water System. And that project envisioned
22 off-channel storage facilities, a number of them in the
23 lower part of the basin, enhanced conservation
24 techniques for the irrigators, a massive underground
25 water supply in the Gulf Coastal Aquifer that could be

1 utilized during drought conditions.

2 And we obtained legislation to be able to
3 create that project, and it was going to be our
4 long-term water supply composed of -- of all of those
5 elements that I just described. It was an innovative
6 plan. We took the political risk to do it because I was
7 so concerned about having enough water for our basin in
8 the future.

9 Q And had that project been pursued and
10 ultimately completed, would it have substantially
11 increased the available water supplies for LCRA?

12 A Absolutely.

13 Q And you felt the need for those additional
14 water supplies as you were general manager of LCRA prior
15 to 2008. Correct?

16 A I did.

17 Q What happened to that project?

18 A Ultimately the Board of LCRA determined that
19 they would not proceed with the project. This was after
20 I retired and they elected to notify SAWS that they were
21 not going to go forward with the project, and did not.

22 Q So when you left in 2008, you felt like the
23 SAWS project would address the future water needs of the
24 LCRA region through this project. Correct?

25 A I did. And, in fact, the reason that I felt

1 like I could retire is because I had achieved a goal
2 that I set about some eight years before, which was to
3 ensure that LCRA was going to have the water that it
4 needed in the future. And from a professional
5 standpoint, I felt like I had done my job, I had
6 provided water for the region and I could retire, and so
7 I did.

8 Q Now, given that the project has been
9 terminated, the contract has been canceled, how does
10 that leave LCRA in terms of future water needs based
11 upon your experience there as general manager?

12 A Well, I'd like to share high and dry, but I
13 guess low and dry.

14 (Laughter)

15 A The -- my worst fears have come to pass. The
16 reservoirs are at almost all-time lows. The data tells
17 me that the drought that we are in is worse than the
18 drought that was experienced by Texas in the late '40s
19 and '50s, and I remember that drought. I was here and
20 old enough to remember it.

21 The -- the outlook for LCRA at this point
22 from a surface water supply standpoint is about as bad
23 as it's ever been. And you layer on top of that that
24 there's two, if not three times, as many people that
25 LCRA has to serve, the water supply situation is, in my

1 opinion, dire for LCRA.

2 Q (BY MR. JOHNSON) Now, let me take you back
3 just a little bit, Mr. Beal. When the Highland Lakes
4 were built, were they built to meet a five-year need?

5 A Oh, no. The first lake that was built was
6 Buchanan, Lake Buchanan, and it was -- that dam was
7 completed in 1937, and it was to be a long-term water
8 supply reservoir for the entire basin. When it was
9 built, it was projected to supply water for 60 to 70
10 years in the -- in the future.

11 The LCRA, soon after they built Buchanan,
12 built Lake Travis, and that dam was complete in 1942.
13 It is a flood control reservoir, but it's also a water
14 supply reservoir. And it, too, was -- it was built so
15 that the LCRA would have very, very long-term supplies,
16 much greater than five years.

17 And then the intervening lakes were built.
18 They are really not water supply reservoirs. They're
19 hydroelectric facilities primarily that could be used
20 for water supply. But, no, these -- the people that had
21 the vision to build these dams and reservoirs built them
22 for a supply that they saw well over 70 years in the
23 future.

24 Q Could those reservoirs have been built in
25 five-year increments to meet immediate five-year

1 demands?

2 A No.

3 Q Why not?

4 A Well, you can't build just a portion of a -- of
5 a dam. You've got to -- you've got to build the whole
6 thing. Just like you can't build a portion of a -- of a
7 water transmission line. You have to build the whole
8 thing.

9 About the only -- about the only way a
10 water utility could build a five-year kind of project --
11 and this really is not all that feasible -- but if
12 you're sitting right on top of an aquifer and all you
13 have to do to get water is put a well in, then you might
14 be able to build something for a water supply for five
15 years. But even here in Bastrop, we're contemplating --
16 and I'm on the city council in Bastrop -- we're
17 contemplating permitting a well through this district.
18 And when that well gets put in, it will be a water
19 supply that will go about 20 years for the City of
20 Bastrop.

21 Q And that's the way water resource planning and
22 development works. Correct?

23 A Yes.

24 Q Now, you were here for all of Mr. Thornhill's
25 testimony. Is that right?

1 A Yes. I listened patiently.

2 Q Did you -- first of all, I know you know
3 Mr. Thornhill. Do you trust his expert judgment?

4 A Absolutely. He's one of the best engineers
5 I've ever worked with.

6 Q Was there anything in Thornhill's testimony
7 concerning both the circumstances of demand, the
8 circumstances with regard to the lakes or the costs --
9 potential cost of delivery of this water to the
10 Williamson and Travis County area that you disagreed
11 with?

12 A No.

13 Q Specifically you heard his testimony concerning
14 the existing supplies in Travis and Williamson County
15 and their vulnerability. Did you agree with his
16 testimony?

17 A I do.

18 Q And also the project delivered water costs,
19 have you reviewed that information?

20 A I have reviewed it, and I do agree with it.

21 Q What's the significance, in your view, of
22 the -- of the vulnerability of the existing supplies to
23 the marketability of this project?

24 A I think the fact that we are experiencing the
25 drought that we are experiencing makes this water much

1 more marketable. People within the Austin area I know,
2 because I -- I talk to the business community there a
3 lot -- they know that we have a vulnerable water supply
4 when we have a single source, and that single source is
5 dependent on rainfall. And so I believe that a -- an
6 underground water supply, an additional water supply for
7 this area, is very marketable. The one thing I'm
8 concerned about is that there's not enough of it to meet
9 the future demands.

10 Q Now, let's talk briefly about your engagement
11 in connection with the End Op project. How did you
12 first become involved in the analysis of the End Op
13 project?

14 A I was approached a year ago to see if I would
15 have an interest in helping Cap Rock evaluate a business
16 opportunity that they felt they had to participate in
17 the End Op project. And so ultimately I agreed to
18 provide consulting services through Beal Consulting.
19 And I suggested to them that they also employ
20 Mr. Thornhill, and the two of us then began to do due
21 diligence for Cap Rock.

22 Q And that due diligence, I would assume, would
23 include an analysis of the various factors that go into
24 whether or not this project is feasible. Correct?

25 A It did, yes.

1 Q One of those would be the sustainability of the
2 resource for the long term. Correct?

3 A Yes, sir.

4 Q Did you satisfy yourself that the End Op
5 project in this area would be and could be sustainable
6 for the very long term?

7 A Yes.

8 Q Another aspect of that is the potential cost of
9 delivery of the water, the product. Did you examine
10 that?

11 A I did.

12 Q And did you determine that the cost was
13 competitive and would make the project feasible?

14 A I did. And one of the things that drives that
15 competitive cost is the fact that the amount of
16 treatment this water will have to have before it goes
17 into the Austin system, or any system, is minimal as
18 compared to the cost of treatment of surface water from
19 the Colorado River.

20 Q Now, do you consider that to be an important
21 factor in the analysis that any buyer would undertake in
22 examining this water supply?

23 A Absolutely.

24 Q And how does that relate to the major water
25 user groups in Travis and Williamson County? Are they

1 on a different supply that requires treatment?

2 A They're on a supply that does require
3 treatment.

4 Q And, therefore, they have to incur a treatment
5 cost in connection with the required water before they
6 can deliver it to their customers?

7 A Yes, sir.

8 Q This water can be delivered to customers with
9 minimal treatment?

10 A That's correct.

11 Q I'm assuming that you also assessed and looked
12 at the need for this water and the opportunity to, in
13 essence, market this water to customers. Correct?

14 A We did.

15 Q And what did you determine there?

16 A We determined that there was a definite market
17 to include LCRA, the City of Austin and the various
18 entities within Williamson County.

19 Q Did you prepare any kind of written report, or
20 was this just an oral presentation or discussion with a
21 client?

22 A Primarily an oral presentation. I did
23 calculations and I -- I did research.

24 Q Once Cap Rock became involved, did that change?
25 Well, were you still engaged by End Op to assist in this

1 project?

2 A I'm sorry, ask that again.

3 Q Let me ask it a better way.

4 A Okay.

5 Q Cap Rock did become involved in the End Op
6 project. Correct?

7 A Yes, they did.

8 Q And did you transition into working as a
9 consultant for the End Op entity after that occurred?

10 A Yes, I did.

11 Q So you continue to work as a consultant for End
12 Op today?

13 A Yes, I do.

14 Q And you charge them an hourly rate?

15 A I do.

16 Q And that is?

17 A \$250 an hour. That is -- that's my standard
18 rate.

19 Q And you've been asked to head up the End Op
20 effort to market this project. Is that correct?

21 A That's what they've asked me to do.

22 Q So you will be the principal person interacting
23 with these potential purchasers or partners in trying to
24 achieve an agreement to deliver this water to this
25 region. Correct?

1 A I will.

2 Q And based upon this -- this engagement, do you
3 believe you'll be successful that you can conclude an
4 agreement with entities in Travis and Williamson
5 Counties to deliver this water within the time frame
6 specified in the permit, which is one year from the date
7 of issuance?

8 A Yes, I believe we will be successful. And the
9 reason I think we will be successful is that there is a
10 real need for this water, and the water can be provided
11 at a very competitive price. And, so, yeah, I think
12 we'll be successful.

13 Q And let's get right to the chase. The referral
14 on this matter was to take evidence on the amount of
15 groundwater from this project that will be put to a
16 beneficial use during a five-year operating permit term.
17 Based upon what you know, what is your expectation with
18 regard to how much water will be delivered and used or
19 will be put to a beneficial use during the five -- the
20 first five-year term of this operating permit?

21 A I think all of this water -- if it is
22 permitted, it I think all of this water will be used
23 within that first five-year period --

24 Q And what --

25 A -- all 46,000 acre-feet.

1 Q And why do you believe that to be the case?

2 A The water is at such a competitive price that
3 it's -- it's not going to -- certainly for the City of
4 Austin it's not going to adversely impact their rate
5 structure. So it's -- from an economical standpoint,
6 it's got a good attribute. I believe it -- because
7 there will be some significant expense to drill the
8 wells and to build the pipeline, and since it will be
9 built for full size, all 46,000 acre-feet, I think that
10 wherever this water finally gets used that it will be
11 used on an on-going basis because it is cheaper --
12 particularly for Austin -- because it is cheaper in
13 total cost than what Austin is seeing today for water.
14 I believe that they would utilize all of it. And I
15 would suspect that there will be political pressure that
16 this water be utilized because of the need for LCRA to
17 stretch its surface supplies as far as it can, and it is
18 LCRA that currently has the contract with all of these
19 users up in this Austin region.

20 Q Now, it probably goes without saying, but would
21 you expect that the same amount of groundwater will be
22 put to a beneficial use during the 30-year transport
23 permit term?

24 A Yes, I do, for the -- for those same reasons.

25 Q So let's talk about now that you've

1 transitioned into this position of actually being
2 responsible or being tasked with the responsibility of
3 End Op marketing this project to the users. Have you
4 had any discussions prior to this hearing with potential
5 purchasers?

6 A I have.

7 Q And who have you had discussions with?

8 A I've had a couple of visits with Phil Wilson,
9 who is the general manager of LCRA today. I've had
10 discussions with the -- with the board chairman of LCRA
11 and with the individual director that is in charge of
12 the water committee of LCRA. I've had conversations
13 with the Williamson County Judge, who has a concern
14 about future water supplies for Williamson County.

15 And I have had conversations with Greg
16 Meszaros, who is the manager of Austin Water Utilities.
17 I have not talked to him specifically about this End Op
18 water. I have talked to him about the need for Simsboro
19 water to be water that would augment their current
20 supplies.

21 Q In your discussions with LCRA, did you get the
22 impression that they felt there was an immediate need
23 for up to 46,000 acre-feet of water delivered to Travis
24 and Williamson County?

25 A The last time I talked to Phil Wilson he said,

1 "Get a permit and then come and see me." So, yeah,
2 there's interest there.

3 Q How about in your discussions with the county
4 judge of Williamson County? Did you come -- did he
5 indicate that he felt there was a need for this 46,000
6 acre-feet in Williamson County in the immediate future?

7 A He did. And, in fact, I asked him if he would
8 write me a letter that would tell me that he was
9 interested in this water for Williamson County. His
10 response was I would much rather have the full
11 Commissioners' court publicly ask you. And I asked him
12 if he wanted me to write a resolution that he could
13 utilize for the Commissioners' court. He did. We
14 did -- I did. I provided that resolution to him about
15 10 or 12 days ago. It was scheduled to be acted upon at
16 the Commissioners' Court last Tuesday. One of the
17 Commissioners had a death in her family and could not be
18 there, and the Judge wanted the full Commissioners'
19 Court to consider that resolution. So the
20 Commissioners' Court took no action.

21 Q Do you expect the Commissioners' Court to
22 consider that resolution in the future?

23 A Yes, I do.

24 Q And do you expect them to adopt that
25 resolution?

1 A I believe that they will.

2 Q Let me ask you to turn in the exhibit binder to
3 what's been marked as Applicant's Exhibit No. 109. And
4 let me ask you as you're flipping to that exhibit, is
5 this the resolution that you described?

6 A It is.

7 Q And that would have been considered at the
8 Williamson County Commissioners' Court meeting this week
9 but for the absence of one of the Commissioners?

10 A Yes.

11 Q And it will be considered in the future?

12 A Yes. They -- it was on the agenda. They
13 retired to executive session. The county attorney came
14 out and told us that the Judge did not want to take
15 action because one of the Commissioners was not there,
16 and so they took no action.

17 Q Once this project is permitted, what is your
18 plan for meeting with these entities to market this
19 project and strike an agreement?

20 A We will immediately began to -- begin to have
21 our formal visits. You know, just as soon as -- as soon
22 as its permitted, we'll have something that they can
23 use. I'll begin to have additional discussions with
24 these potential users immediately.

25 Q Now, let me ask you to -- first of all, you

1 heard Mr. Thornhill testify about the agreement between
2 the San Antonio Water System and the Vista Ridge group,
3 otherwise known as Abengoa and Blue Water. Are you
4 familiar with that agreement?

5 A Yes, I am.

6 Q Are you familiar with -- generally familiar
7 with the SAWS system in light of your contract with --
8 LCRA's contract with SAWS?

9 A Yes.

10 Q And have you, as part of that, looked at SAWS'
11 incremental demand for water over time?

12 A Yes.

13 Q The SAWS/Vista Ridge project calls for the
14 delivery of 50,000 acre-feet of water when the project
15 is completed and obligates SAWS to take and use all of
16 the water that is capable of being delivered. Does SAWS
17 have an immediate need for 50,000 acre-feet of water?

18 A No. Their -- their incremental demands, their
19 annual increases in demands, would be significantly less
20 than 50,000 acre-feet per year.

21 Q And why would they agree to take 50,000
22 acre-feet if their incremental demands, say, in the next
23 five years, were only 10,000 acre-feet?

24 A Because that's what a water utility does.
25 They'll look out if they -- if they can, and San Antonio

1 has had difficulty looking out at a -- at a long-term
2 future. But when they can, they will look out more than
3 30 years, 50 years, some cases a hundred. And if they
4 can afford to tie up a long-term supply, that's what
5 they will do. That is what San Antonio -- or what SAWS
6 was going to do with the project that was envisioned
7 with LCRA. That project included a much, much larger
8 pipe than what's being considered for the Vista Ridge
9 project that would go from near Bay City all the way to
10 San Antonio.

11 So consistently SAWS has looked far beyond
12 what they need for the next five years. They've looked
13 far beyond that to try to find long-term supplies.

14 Q Now, the San Antonio Water System is almost
15 exclusively dependent upon one source of water.

16 Correct?

17 A Yes, sir.

18 Q And does that one source of water have some
19 vulnerability issues similar to the vulnerability issues
20 that the Highland Lakes have?

21 A Well, it may be even more vulnerable. I call
22 it a federal drought. The federal government
23 declared -- ultimately the federal government caused
24 there to be a limitation on the amount of water that
25 could be withdrawn from that aquifer.

1 And so here you had a major city in Texas
2 that thought that it had a long-term water supply tied
3 up, and then all of a sudden it didn't, and that's when
4 they began to scramble to try to find water.

5 Q So using the analogy, they have a single source
6 of water supply that could be substantially interrupted
7 because of drought in order to protect the federal
8 endangered species. Correct?

9 A Yes.

10 Q And that is similar to the situation in the
11 Highland Lakes with regard to vulnerability to drought.
12 Correct?

13 A Yes.

14 Q Are there other analogous situations,
15 particularly in the Panhandle, with regard to this
16 vulnerability of existing supply and substitution of a
17 groundwater supply to meet that -- that need?

18 A Yes. In fact, it's -- it's going on as we
19 speak just to the west of us here in this part of the
20 Colorado basin. Mr. Thornhill testified about the
21 CRMWA, C-R-M-W-A, system, which has gone from a surface
22 water supply to now a underground water supply piping
23 water hundreds of miles simply because their surface
24 water supply has dried up.

25 It's a little known fact, but if you go

1 just above Buchanan Dam and Lake Buchanan, the next
2 reservoir you hit on the Colorado is Ivie Reservoir.
3 Ivie is controlled by the Colorado River Municipal Water
4 District, and they've been building lakes -- that
5 district has been building lakes for almost as long as
6 LCRA has been building lakes. And I might add that LCRA
7 tried to stop them every time they could because LCRA
8 was concerned about water being cut off from -- from
9 their reservoirs.

10 But all three of their major reservoirs
11 are experiencing this same situation. I think the Ivie
12 Reservoir today might have 15 or 16 percent of its
13 available volume. Spence caught a little bit of water
14 very recently. J.B. Thomas is dry, and that feeds all
15 of that Permian Basin area. Midland/Odessa, Big Spring,
16 Sweetwater, they're running out of water there.

17 Q And have they looked at replacing that surface
18 water supply with groundwater supply?

19 A Yes, groundwater supplies. And for Big Spring,
20 they're going to take sewage from their sewage treatment
21 plant and pipe it directly into the system, which I
22 think would be hard to do in Austin, Texas.

23 Q One would think.

24 So in other parts of the state where there
25 were reservoirs that had yields that were calculated to

1 be sufficient for future demands, entities using that
2 water, developing that water, have been required to
3 develop supplemental or substitution supplies because of
4 the drought?

5 A They have, including underground water.

6 Q And when they do that, do they build the entire
7 project so they can deliver those supplies to meet that
8 demand?

9 A They do.

10 Q Again, they don't build those projects in
11 increments?

12 A They can't.

13 Q So let's kind of sum up here. Once a permit is
14 issued, you will be negotiating, you will be marketing
15 this project to Travis and Williamson County water users
16 specifically. Correct?

17 A I will.

18 Q And given the information that Mr. Thornhill
19 has developed, do you believe that you will be
20 successful in marketing this project to Travis and
21 Williamson County water users?

22 A I do believe that.

23 Q And assuming that you are successful in doing
24 that, is it your opinion that they will use 100 percent
25 of the available water supply within the first five

1 years?

2 A I think they will.

3 MR. JOHNSON: Thank you. That's all the
4 questions.

5 JUDGE O'MALLEY: Okay. Mr. Johnson --

6 MR. JOHNSON: Oh, I'm sorry. We seek to
7 admit Exhibit 109.

8 JUDGE O'MALLEY: What about 108? Has that
9 been admitted?

10 MR. JOHNSON: No. We have not offered
11 that.

12 JUDGE O'MALLEY: Are you withdrawing it
13 or --

14 MR. JOHNSON: We'll withdraw that exhibit.

15 JUDGE O'MALLEY: Okay. Are there any
16 objections to End Op's Exhibit 109?

17 MS. MELVIN: Not as described.

18 JUDGE O'MALLEY: Not as described?

19 (Laughter)

20 MS. MELVIN: Not as he testified to, a
21 resolution that he drafted --

22 JUDGE O'MALLEY: Okay.

23 MS. MELVIN: -- Commissioners' Court.
24 With that understanding, I've got no objection.

25 JUDGE O'MALLEY: Okay.

1 MR. JOHNSON: Your Honor, we would ask
2 that we be allowed to supplement the record with the
3 resolution of Williamson County in the event they adopt
4 the resolution.

5 JUDGE O'MALLEY: Before the record closes
6 you mean?

7 MR. JOHNSON: Yes.

8 JUDGE O'MALLEY: Okay. Well, that's --
9 we'll talk about that when we come up with the record
10 close date and that type of thing.

11 But with regard to End Op Exhibit 109,
12 that's admitted.

13 (Exhibit Applicant End Op No. 109
14 admitted)

15 MR. JOHNSON: Thank you.

16 JUDGE O'MALLEY: Mr. Lein, are you doing
17 the cross? I saw you taking notes, so that's why --

18 MR. LEIN: I'm a habitual note taker.

19 MS. MELVIN: I may as well. Mr. Beal --

20 JUDGE O'MALLEY: Ms. Melvin, you're going
21 to be doing it? Okay.

22 MS. MELVIN: I will.

23 CROSS-EXAMINATION

24 BY MS. MELVIN:

25 Q Good afternoon. I believe that you testified

1 that the LCRA/SAWS, San Antonio Water System project,
2 included a number of off-channels reservoirs. Is that
3 correct?

4 A Yes, ma'am.

5 Q And I understood Mr. Thornhill to testify that
6 the LCRA is going forward with an off-channel
7 reservoir -- I don't know if it's one of those
8 off-channel reservoirs -- right now. Is that your
9 understanding?

10 A Yes.

11 Q Could you explain how an off-handle reservoir
12 makes more water available?

13 A The concept is that when there is excess water
14 in the river, like after a major rainfall event, and if
15 that water is not needed downstream of a particular
16 point, then a low head, large-volume pump would pump
17 water from the river into an off-channel storage
18 facility.

19 A prime example of one is the pond at the
20 South Texas Nuclear Plant. That's a very large
21 off-channel storage facility.

22 Technically you dig and fill. You take
23 the spoil that you take from digging the hole and you
24 build up a levy, and you create a facility that can
25 store that water that otherwise would make it to the

1 Gulf. Then that water is used and it takes the place of
2 water that would have been either run-of-river water
3 that comes down the river or water that was stored in
4 the Highland Lakes.

5 And then as that reservoir is drawn down,
6 when you have the opportunity to refill it again, you
7 top it off, and fill it again after and keep using it.

8 Q Thank you.

9 Do you think that the LCRA reservoir that
10 LCRA is building right now is a good idea?

11 A Oh, I think any additional water supplies for
12 LCRA is a good idea. I don't know how that off-channel
13 storage facility is going to solve the problem that
14 Austin and Williamson County has now with the Highland
15 Lakes situation. Had it been built a number of years
16 ago, then it's possible that it could have made a
17 difference because it might have been used for
18 irrigation purposes that stored water was used for.

19 Q And as you explain it, that's because you could
20 use water out of that reservoir for irrigation instead
21 of releasing the water from Lake Travis and Lake
22 Buchanan. Is that correct?

23 A Yeah, water in an off-store -- in an
24 off-channel storage facility would be utilized for a
25 multiple of uses. There's industrial uses down there as

1 well, the nuclear plant, the old Celanese plant. They
2 call it something else now. But there's a number of
3 water users in that lower basin, and that stored water
4 could be used for any of those.

5 Q And that's why an off-channel reservoir we're
6 talking about, is down in the basin, could actually help
7 provide water supplies to the City of Austin, for
8 example?

9 A Yeah, if -- if there were water to conserve or
10 not use within the Highland Lakes.

11 Q Uh-huh.

12 A The off-channel storage facilities that were
13 envisioned in the SAWS project were going to be utilized
14 not only for irrigation purposes, but as a storage
15 facility to pump water to San Antonio.

16 Q Thank you.

17 You mentioned that you're on the Bastrop
18 City Council and Bastrop currently has an application
19 pending at the -- at the district. Are you referring to
20 their application to produce 2,000 acre-feet per year
21 from the Simsboro Aquifer in Bastrop, County Texas?

22 A Yes.

23 Q I know you have a lot of experience in this.
24 If you were to start today and build a pipeline from the
25 End Op wells where they're located in Bastrop and Lee

1 Counties to the City of Austin -- to a place where you
2 could deliver it to the City of Austin in a place where
3 they can take it and use it, how long do you think that
4 would take?

5 A Well, it depends on how heroic you wanted to be
6 to get it built. You know, when I was young and in
7 Dallas, I watched the City of Dallas water utility lay a
8 major waterline from the Red River to Dallas, and they
9 did it in a year. They didn't bury it. They just put
10 it on top of the ground because they had to.

11 But realistically, once the design was
12 done and the right-of-way was obtained, you could
13 probably -- with multiple contractors you could probably
14 build that pipeline project in a couple of years.

15 Q And that's after the design was completed and
16 after you got the right-of-way. Is that what you just
17 said? I'm just clarifying.

18 A If you started now and you had a public entity
19 that could get the right-of-way, you could probably get
20 that pipeline and well field completed in about a two
21 and a half year period.

22 MS. MELVIN: I have no further questions,
23 Your Honor.

24 JUDGE O'MALLEY: Thank you.

25 Redirect, Mr. Johnson?

1 MR. JOHNSON: We have no further
2 questions, Your Honor.

3 JUDGE O'MALLEY: Can Mr. Beal be excused?

4 MR. JOHNSON: He may.

5 JUDGE O'MALLEY: Okay. Thank you,
6 Mr. Beal.

7 WITNESS BEAL: Thank you, Judge.

8 JUDGE O'MALLEY: Was one of these
9 notebooks yours?

10 WITNESS BEAL: This one is.

11 JUDGE O'MALLEY: Does End Op have anything
12 else for their direct case?

13 MS. REESE: No, Your Honor. We rest our
14 direct case.

15 JUDGE O'MALLEY: Okay. Thank you. This
16 is probably a good time to take a break, so why don't we
17 go ahead and take about a 10-minute break and we'll come
18 back.

19 MS. MELVIN: We won't have a direct case,
20 Your Honor. I just wanted to let you know that.

21 JUDGE O'MALLEY: Okay.

22 MS. MELVIN: Other than things we've
23 already introduced --

24 MR. LEIN: Right.

25 MS. REESE: Try not to seem too excited.

1 (Laughter)

2 JUDGE O'MALLEY: Okay. Well --

3 MS. MELVIN: That doesn't mean we
4 shouldn't take a break.

5 JUDGE O'MALLEY: No, I think probably we
6 need to take a little bit of a break, and then we'll
7 come back and we'll work on a schedule.

8 MS. MELVIN: That sounds good.

9 JUDGE O'MALLEY: Okay. Let's go off the
10 record.

11 (Recess: 3:03 p.m. to 3:14 p.m.)

12 JUDGE O'MALLEY: Why don't we go ahead and
13 go back on the record. Before we went off the record,
14 Ms. Melvin announced that the General Manager did not
15 have a direct case.

16 MS. MELVIN: We are not going to -- we're
17 not introducing any witnesses, Your Honor.

18 JUDGE O'MALLEY: Okay. We've already
19 admitted your exhibits.

20 I think we're ready to develop a schedule,
21 a briefing schedule. I'm trying to contemplate the best
22 approach here. Based on your cross, it's hard to tell
23 whether you're contesting the remand evidence put on by
24 End Op. I'm not sure where we are exactly. There's a
25 couple of ways we can go about it. I'm trying to think

1 of a way when I'm writing something up to make it easy
2 for the District Board. So if it's not truly contested,
3 they're not thinking --

4 MS. MELVIN: I'm not sure -- it's true we
5 contest it.

6 JUDGE O'MALLEY: It is?

7 MS. MELVIN: Yes.

8 JUDGE O'MALLEY: Okay.

9 MS. MELVIN: There are many of the things
10 that they -- that they testified to that we don't agree
11 with.

12 JUDGE O'MALLEY: Well, that's what I'm
13 trying to get at. There's a lot of evidence here, but
14 the issues themselves are fairly limited, but the
15 evidence that's -- I understand a lot of this you're
16 contesting. I didn't know the issues themselves. Do
17 you know what I mean?

18 MS. MELVIN: Yes.

19 JUDGE O'MALLEY: Obviously there's parts
20 of that evidence based on your cross you disagreed with
21 or you contest you think is not accurate, but I didn't
22 know generally how much you're contesting the issues.
23 Do you know what I mean?

24 MS. MELVIN: I understand them to be
25 saying that they will use \$45,000 on what we have been

1 calling day one -- 45,000 acre-feet on day one. We
2 contest that.

3 JUDGE O'MALLEY: Okay.

4 MS. MELVIN: Okay. 45,000 in 30 years, we
5 contest that.

6 JUDGE O'MALLEY: Okay. So the -- so is
7 the best approach just to do the standard -- is there
8 some things that can be stipulated to?

9 MS. MELVIN: Yes, there probably are.
10 Much of the testimony today we probably could have
11 stipulated to.

12 JUDGE O'MALLEY: Okay.

13 MS. MELVIN: And I'd be happy to try and
14 do that with them.

15 JUDGE O'MALLEY: Okay. Well, and you're
16 right. It wasn't prefiled, so you really had no idea
17 what it was going to be, so it was hard to make
18 stipulations. I can understand that.

19 So do we want to just do the standard
20 briefing approach where we do initial briefs, reply
21 briefs, and then with the reply briefs you can attach
22 proposed findings of fact, and with the reply briefs you
23 can also submit stipulations?

24 MS. MELVIN: That would be fine with us,
25 Your Honor.

1 JUDGE O'MALLEY: So the first initial
2 brief would be a standard initial brief. You cite to
3 the evidence and you break it up by these two issues.

4 And then the reply briefs would come in,
5 and those would include the -- obviously the reply to
6 the initial along with findings of fact and conclusions
7 of law and any stipulations.

8 MR. JOHNSON: I think we're comfortable
9 with that, Your Honor. I mean, I would expect you to
10 ask us to present to you proposed findings and
11 conclusions in our initial filing, but however you want
12 to do it.

13 JUDGE O'MALLEY: You can do it in the
14 initial or -- or the reply. The standard way is to
15 normally do it in the reply briefs --

16 MR. JOHNSON: That's fine.

17 JUDGE O'MALLEY: -- because the other side
18 isn't commenting typically on your findings and
19 conclusions of law. It's just your arguments and so
20 forth, so they're not like disputing. I don't want
21 someone coming back and saying, "No, I disagree with
22 their Conclusion of Law No. 2 for these reasons."

23 MR. JOHNSON: Understood.

24 JUDGE O'MALLEY: That's just -- I'll pick
25 which ones. We often change them anyway, but it gives

1 us some basis to go by.

2 But as Ms. Melvin indicated, a lot of it
3 can be stipulated to.

4 And I guess, Mr. Gershon, are you
5 contesting End Op's present -- their --

6 MR. GERSHON: I'll be clear. Aqua is not
7 protesting any of the issues that are framed up in the
8 scope of the remand.

9 JUDGE O'MALLEY: Okay. You're not
10 contesting the issues, so you're not --

11 MR. GERSHON: The facts, whatever.

12 JUDGE O'MALLEY: Okay. So you're -- okay.
13 So you're not in any disagreement with what End Op
14 presented?

15 MR. GERSHON: We are -- that's correct.

16 JUDGE O'MALLEY: Okay. So you probably
17 won't be --

18 MR. GERSHON: We're not -- we're not
19 weighing in.

20 JUDGE O'MALLEY: So you probably won't be
21 filing a brief or --

22 MR. GERSHON: It would be mostly
23 nonsubstantive, just to be clear about Aqua's
24 position --

25 JUDGE O'MALLEY: Okay.

1 MR. GERSHON: -- in light of our
2 settlement.

3 JUDGE O'MALLEY: Okay.

4 MS. REESE: That's fine. We're not
5 opposed to you filing something brief.

6 JUDGE O'MALLEY: That's fine. Well, why
7 don't we go ahead and come up with deadlines? It
8 appears that the transcript, by agreement, will be ready
9 on the 14th of November.

10 Ms. Melvin, is the district trying to take
11 this up at any future meeting, or are they just waiting
12 until whenever it's ready?

13 MS. MELVIN: I think that they're waiting
14 til your -- I'll call it proposal or remand for lack of
15 a better report or whatever you want to call it, that
16 they won't take this up until they get that from you.

17 JUDGE O'MALLEY: When is -- and when is
18 their next meeting?

19 MS. MELVIN: Their next meeting is
20 November 19th, so that's --

21 JUDGE O'MALLEY: That's -- that's
22 obviously out.

23 MS. MELVIN: Totally impossible, yeah.

24 I believe their meeting after that -- is
25 it December 17th?

1 (Discussion off the record)

2 JUDGE O'MALLEY: While we were off the
3 record, the parties agreed on the following briefing
4 schedule: The initial briefs will be due December 12th.
5 The reply briefs will be due January the 9th, 2015. And
6 with the reply briefs will be the -- any findings of
7 facts and conclusions of law and any stipulations of the
8 parties.

9 Anything else before we go off the record?

10 MR. LEIN: No, Your Honor.

11 MS. REESE: No, Your Honor.

12 MR. JOHNSON: No, Your Honor.

13 JUDGE O'MALLEY: Okay. We will conclude
14 this hearing and go off the record. Thank you.

15 (Proceedings concluded at 3:27 p.m.)
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

STATE OF TEXAS)

COUNTY OF TRAVIS)

I, Lou Ray, Certified Shorthand Reporter
in and for the State of Texas, do hereby certify
that the above-mentioned matter occurred as
hereinbefore set out.

I FURTHER CERTIFY THAT the proceedings of
such were reported by me or under my supervision,
later reduced to typewritten form under my
supervision and control and that the foregoing pages
are a full, true, and correct transcription of the
original notes.

IN WITNESS WHEREOF, I have hereunto set my
hand and seal this 14th day of November, 2014.



LOU RAY
Certified Shorthand Reporter
CSR No. 1791 - Expires 12/31/15

Firm Registration No. 276
Kennedy Reporting Service, Inc.
7800 N. MoPac Expressway, Suite 120
Austin, Texas 78750
512.474.2233

A	101:4, 101:12 101:18, 101:18 102:3, 102:7 104:20, 105:6 110:19, 114:19 114:23, 115:9 115:12, 115:14 115:15, 115:20 117:18, 118:2 119:14, 119:20 120:21, 128:2 138:16, 139:15 148:15, 149:17 150:13, 151:4 152:8, 162:24 165:7, 181:25 182:9, 183:23 184:6, 186:14 186:17, 186:20 186:22, 186:23 195:20, 200:1	152:25, 154:13 adding 35:11 addition 24:20 additional 27:3 35:4, 35:11 92:18, 113:25 116:8, 140:5 141:1, 141:11 141:21, 148:20 159:18, 168:11 168:16, 170:4 170:7, 170:14 170:20, 171:19 172:13, 177:6 185:23, 194:11 address 74:8 137:13, 172:23 addressed 89:13 134:24 adjacent 165:12 administrative 1:6, 1:21, 10:13 18:23, 156:22 administratively 38:2 admit 47:14 47:24, 191:7 admitted 4:2, 5:2 6:2, 7:2, 8:2, 9:2 19:9, 19:12 47:20, 47:22 48:6, 48:7 130:24, 130:25 131:6, 131:7 191:9, 192:12 192:14, 198:19 adopt 184:24 192:3 adopted 30:17 30:17, 30:20 49:13, 49:23 71:7, 71:13 adult 100:10 adversely 182:4 affect 146:16 147:12 afford 187:4 afternoon 3:7 123:1, 169:2 192:25 agencies 71:6 agency 167:5 agenda 8:6 114:12, 185:12	aggressively 118:23 ago 20:16, 20:16 24:24, 34:21 38:16, 54:16 62:1, 67:3, 73:7 78:6, 85:8, 90:10 94:19, 101:23 115:24, 177:14 184:15, 194:16 agree 95:19 134:23, 140:7 141:1, 165:3 176:15, 176:20 186:21, 199:10 agreed 24:11 24:20, 44:8 44:15, 45:16 126:10, 177:17 204:3 agreeing 43:9 agreement 6:21 36:17, 37:14 37:19, 42:9, 45:8 100:3, 103:14 109:19, 124:21 180:24, 181:4 185:19, 186:1 186:4, 203:8 agreements 38:9 123:24, 123:25 124:8 agrees 44:21 agricultural 68:4 171:4 ahead 11:19, 21:1 80:1, 89:3, 94:6 122:3, 122:4 122:6, 123:4 136:23, 151:14 166:5, 197:17 198:12, 203:7 all-time 173:16 allocations 167:8 allow 38:10 allowed 70:3 192:2 allows 60:2 alternative 32:3 35:8, 65:23 138:16, 139:10 139:18 alternatives 139:23, 140:2	141:8, 155:9 ameliorate 16:15 111:18 amend 101:7 amendment 101:14 amount 27:9 28:14, 28:20 28:25, 30:5, 33:1 39:11, 39:11 41:9, 47:2, 50:3 50:4, 50:22 61:13, 61:15 65:24, 66:2 71:10, 119:18 120:4, 120:5 120:7, 127:16 153:6, 171:11 171:19, 178:15 181:14, 182:21 187:24 amounts 46:24 61:12 analogous 83:9 89:15, 89:25 188:14 analogy 188:5 analyses 13:10 13:11, 21:16 146:15 analysis 21:23 30:11, 38:5 59:12, 73:3 102:11, 177:12 177:23, 178:21 analyze 29:6 29:9, 29:14, 51:7 51:9 analyzed 37:16 82:4 analyzing 32:10 and/or 47:10 69:8, 120:23 Angelo 93:23 Annex 1:19 announced 109:20, 198:14 annual 110:22 115:4, 148:1 186:19 answer 23:16 40:9, 55:16, 65:6 115:21, 119:18 127:25, 160:4
----------	---	---	--	--

161:22 answered 63:13 answering 58:10 answers 138:3 anticipate 120:7 162:4 anticipated 117:11 Antonio 16:23 17:2, 42:12 103:23, 160:10 160:12, 171:18 171:21, 186:2 186:25, 187:5 187:10, 187:14 193:1, 195:15 antsy 80:1 anybody 142:13 142:17, 142:21 142:24, 149:17 anymore 121:7 anyway 201:25 apart 33:17 apologize 138:12 apparent 56:21 58:4 appeal 157:9 157:9, 163:8 appeals 163:4 appearances 2:1 10:14 appears 133:15 203:8 appendix 101:8 apples 104:22 104:22 applicability 43:17 applicant 2:3, 3:4 3:8, 4:2, 4:3, 5:2 6:2, 7:2, 8:2, 10:4 11:3, 11:20 47:21, 48:7 123:14, 192:13 Applicant's 185:3 application 1:4 10:10, 73:16 101:6, 101:8 125:10, 125:25 126:2, 163:1 163:9, 195:18 195:20 applications 13:11, 38:2	applied 43:11 97:5, 104:7 104:13, 119:12 125:6 apply 43:11 46:19, 105:14 147:25 appreciate 136:17 approach 18:3 43:8, 43:10 121:1, 153:4 198:22, 200:7 200:20 approached 20:16, 177:14 appropriate 30:11 30:15, 31:1, 49:1 50:6, 63:3, 78:24 appropriation 150:4 approved 42:21 103:21, 103:22 103:22 approximately 24:22, 59:4 64:20, 70:8, 86:1 105:11, 105:13 April 94:19 Aqua 2:19, 8:14 8:16, 8:16, 10:17 134:24, 134:24 202:6 Aqua's 48:12 202:23 aquifer 19:7 137:20, 138:18 138:19, 138:22 139:7, 149:1 171:16, 171:25 175:12, 187:25 195:21 aquifers 148:25 area 8:16, 17:2 67:11, 78:21 78:24, 79:7 88:17, 93:23 102:10, 118:1 130:16, 158:12 160:10, 160:10 160:12, 161:3 164:21, 170:22 171:3, 176:10 177:1, 177:7	178:5, 189:15 areas 72:12 164:24, 165:2 169:5 arguments 201:19 arm 143:19 Army 166:25 166:25 arrangement 22:14, 42:10 44:24 arrow 83:21 art 30:3, 69:7 70:21, 139:17 151:1 artificial 145:9 artificially 75:11 145:14, 147:15 aside 158:22 159:16, 162:22 asked 18:16 18:22, 20:23 20:24, 21:2 22:21, 24:6 24:17, 27:13 28:16, 29:25 36:22, 38:13 38:19, 41:13 62:23, 88:16 88:18, 114:11 117:8, 137:25 156:10, 180:19 180:21, 184:7 184:11 asking 21:3 22:23, 30:14 65:9 aspect 178:8 aspects 169:23 assess 60:2 154:22, 154:24 assessed 179:11 assessing 96:12 141:8 assessment 114:13 assignments 18:3 assist 96:12 179:25 assisted 168:10 171:8 associated 29:18	30:6, 34:1, 107:3 Associates 13:14 167:10 assume 16:25 25:4, 34:11 117:17, 125:15 144:1, 177:22 assumed 163:5 assumes 141:10 141:15 assuming 23:4 92:20, 145:3 179:11, 190:23 assumption 98:21, 104:14 assumptions 21:18, 48:18 assure 39:24 attach 200:21 attached 124:21 attempt 75:8 170:20 attempted 50:18 50:22, 126:16 attempts 110:18 attention 128:16 131:13, 131:14 134:12 attorney 185:13 attractive 32:3 36:12, 65:22 attribute 182:6 augment 183:19 Augmentation 137:23 augmenting 138:17 August 8:6, 17:22 Austin 2:5, 2:10 2:16, 2:21, 5:9 5:11, 6:10, 6:14 7:7, 7:9, 7:13 7:14, 7:16, 7:18 7:19, 7:21, 7:22 8:3, 8:4, 12:18 12:19, 15:6, 15:7 17:17, 30:22 32:17, 36:11 40:4, 43:18 45:19, 50:1, 55:4 60:22, 61:3 62:15, 62:20 75:9, 81:8, 81:16 81:20, 88:17	96:9, 96:13 98:16, 99:8 100:8, 103:9 104:15, 105:8 105:20, 106:10 107:22, 108:8 108:24, 109:3 110:16, 110:20 110:23, 111:7 111:15, 112:7 113:1, 113:3 113:17, 113:19 113:23, 120:24 140:25, 141:7 141:9, 141:15 141:20, 141:24 142:4, 142:6 142:14, 151:16 151:22, 152:4 152:7, 153:5 164:23, 164:24 166:17, 177:1 178:17, 179:17 182:4, 182:12 182:13, 182:19 183:16, 189:22 194:14, 195:7 196:1, 196:2 205:21 Austin's 33:14 33:15, 110:10 112:19, 113:8 113:12, 113:13 141:18 authorities 153:11, 168:4 authority 14:4 14:5, 15:1, 33:22 61:21, 89:14 89:16, 89:16 89:17, 143:3 143:5, 143:6 143:11, 143:12 152:24, 167:17 availability 13:10 21:24, 22:6 68:23, 69:10 141:11, 142:14 142:19 available 29:1 34:11, 43:1, 67:4 69:9, 70:4, 70:8 71:10, 92:21 96:18, 104:4
--	--	---	---	---

115:1, 115:18 115:20, 120:22 136:14, 144:7 145:25, 151:8 152:8, 156:25 156:25, 163:19 172:11, 189:13 190:25, 193:12 Avenue 2:5, 2:15 2:21 average 5:11 52:9 averaged 52:8 76:12 avoid 39:13 aware 42:10 49:22, 95:2 100:19, 100:22 126:9, 126:12 awareness 73:11 axis 110:24	base 93:13 119:22, 150:25 based 28:10 29:12, 31:13 34:7, 41:9, 53:21 59:25, 63:12 81:16, 97:17 97:19, 99:20 99:24, 100:4 101:17, 137:5 151:6, 158:11 158:20, 159:8 173:10, 181:2 181:17, 198:22 199:20 baseline 117:25 baseload 39:10 151:1, 151:2 154:16 basic 13:17 14:21 basically 15:23 18:6, 23:17, 27:3 29:4, 34:12 43:10, 51:20 52:11, 56:7, 71:9 72:18, 75:18 79:11, 87:23 91:22, 99:2 104:4, 114:10 154:14, 169:22 basin 4:11, 5:18 14:8, 14:8, 14:9 76:1, 76:18 93:24, 164:20 171:20, 171:23 172:7, 174:8 188:20, 189:15 195:3, 195:6 basins 75:18 75:20 basis 25:9, 34:12 61:7, 86:13 97:15, 114:13 120:23, 144:22 145:1, 146:5 146:6, 147:18 148:1, 169:2 182:11, 202:1 Bastrop 1:19 1:20, 4:20, 8:15 10:8, 22:8, 46:18 46:19, 116:7 128:25, 175:15	175:16, 175:20 195:17, 195:18 195:21, 195:25 bathroom 80:1 Bay 167:7, 187:9 Beal 3:12, 15:25 15:25, 88:16 166:1, 166:3 166:7, 166:12 167:22, 167:24 169:12, 169:15 169:17, 169:20 174:3, 177:18 192:19, 197:3 197:6, 197:7 197:10 bear 34:24 becoming 20:21 21:6 began 18:20 22:22, 37:18 55:7, 90:7, 90:12 91:14, 92:1 94:18, 118:15 166:22, 170:14 170:22, 177:20 185:20, 188:4 Beginning 23:2 begins 68:13 76:13 begun 46:16 116:3, 116:7 116:11 behalf 3:4, 3:8 10:17, 10:21 11:3, 11:20 18:18, 38:14 123:14 behest 146:1 believe 20:12 30:8, 31:25 35:19, 36:10 36:19, 38:15 43:16, 46:7, 47:6 64:22, 65:19 71:24, 72:23 73:22, 77:7, 78:5 89:24, 90:1 95:17, 95:20 97:20, 109:21 110:3, 114:1 114:2, 117:9 120:10, 121:3 121:14, 121:15	124:5, 126:25 128:1, 131:18 131:23, 136:4 137:21, 140:24 141:20, 141:25 149:11, 150:12 153:6, 155:2 162:20, 177:5 181:3, 181:8 182:1, 182:6 182:14, 185:1 190:19, 190:22 192:25, 203:24 beneficial 27:6 27:7, 27:10 27:18, 27:20 27:25, 28:2 28:13, 28:15 119:19, 149:21 149:23, 150:4 150:7, 181:16 181:19, 182:22 benefit 61:22 benefits 111:15 best 16:16, 98:21 107:12, 107:13 142:10, 144:11 176:4, 198:21 200:7 better 30:16, 49:5 49:8, 105:18 122:2, 144:10 144:22, 155:11 180:3, 203:15 Bexar 17:2, 44:10 beyond 31:17 49:14, 65:17 159:18, 187:11 187:13 big 151:18 189:15, 189:19 bigger 144:24 bill 25:3 binder 12:11 12:12, 185:2 bit 13:2, 35:23 49:3, 50:10 57:18, 62:9 67:21, 70:7 70:14, 78:5 85:13, 86:2, 86:9 108:9, 111:3 113:22, 143:21 174:3, 189:13	198:6 bitty 131:11 black 93:14 blacked 133:17 134:10, 134:16 blind 49:20 blue 53:3, 53:10 53:19, 56:24 58:13, 58:15 74:19, 75:5, 75:7 75:10, 81:21 82:21, 82:21 85:13, 85:25 87:15, 88:5 90:24, 91:7 91:14, 93:3 94:12, 95:6 95:21, 104:19 110:23, 111:1 112:17, 112:23 113:10, 118:1 127:12, 186:3 board 8:6, 29:2 30:19, 31:15 42:22, 49:24 51:21, 53:14 53:21, 54:24 74:8, 74:12, 85:1 114:12, 119:3 125:13, 125:19 129:7, 148:16 156:13, 156:14 156:21, 157:12 157:19, 163:18 164:15, 167:5 167:20, 172:18 183:10, 199:2 Board's 132:18 boil 67:24 boils 37:10 bold 100:25 107:19, 117:11 117:16 bond 106:17 107:4 bondholders 39:25 bonds 40:2 107:5 book 8:6, 114:12 Boone 92:5 boss 15:24 bottom 52:12 53:5, 54:6, 54:12
B				
bachelor 12:17 166:15 back 13:5, 15:4 17:20, 24:9, 51:3 57:20, 69:14 77:9, 79:15, 80:4 81:18, 83:2 85:25, 87:4, 99:4 113:17, 113:24 118:12, 118:14 119:7, 119:16 122:5, 123:5 127:22, 132:4 145:13, 152:1 159:14, 162:15 163:1, 163:7 163:8, 167:1 167:1, 174:2 197:18, 198:7 198:13, 201:21 back-of-the-book 94:10 background 166:14, 168:21 backup 102:21 102:22 bad 42:2, 135:10 173:22 bar 81:21 bars 91:7				

54:20, 56:3, 56:4 56:17, 57:2, 57:6 58:25, 59:1 63:10, 63:17 64:5, 64:15, 85:7 85:22, 93:11 94:14, 96:21 96:23, 98:19 98:19, 102:5 105:25, 107:14 109:13, 109:14 113:11, 115:11 137:21 bought 45:18 92:5, 92:7 154:12 boundary 87:22 box 100:21 104:19 BRA 137:22 138:1, 153:14 153:16, 154:1 154:12, 154:17 155:10, 155:12 Brazos 2:9, 9:3 9:4, 9:6, 33:21 130:10, 130:16 130:17, 137:3 break 48:21 48:24, 50:25 79:23, 80:8 80:10, 121:22 122:3, 122:4 197:16, 197:17 198:4, 198:6 201:3 brief 166:20 201:2, 201:2 202:21, 203:5 briefing 198:21 200:20, 204:3 briefly 15:12 100:14, 106:14 166:13, 169:21 177:10 briefs 200:20 200:21, 200:21 200:22, 201:4 201:15, 204:4 204:5, 204:6 bright 78:1 bring 34:24 154:22 brings 40:13	broken 84:6, 84:6 brought 110:19 134:12 brown 67:14 67:15, 73:1 74:20, 78:7 87:19 Brushy 61:21 108:18, 143:2 143:4, 143:10 143:11, 152:23 155:7 Buchanan 5:13 5:14, 5:15, 5:21 6:7, 6:8, 6:12 69:21, 75:7 75:13, 76:17 76:19, 76:22 77:11, 77:12 77:16, 82:11 83:15, 83:18 83:23, 84:7, 90:5 146:11, 149:4 174:6, 174:6 174:11, 189:1 189:1, 194:22 budget 7:8, 7:9 7:12, 7:13, 107:7 107:8, 109:3 109:12, 110:10 111:13 budgets 106:18 build 45:12, 45:12 45:13, 45:13 105:15, 105:24 118:14, 118:17 174:21, 175:4 175:5, 175:6 175:7, 175:10 175:14, 182:8 190:6, 190:10 193:24, 195:24 196:14 building 152:2 189:4, 189:5 189:6, 194:10 built 49:11, 89:18 91:15, 151:17 174:4, 174:4 174:5, 174:9 174:11, 174:12 174:14, 174:17 174:21, 174:24 182:9, 194:15	196:6 bump 86:7, 86:10 86:23, 87:4, 95:6 95:13 bunch 29:3 Burnet 75:3 burst 50:25 bury 196:9 business 24:18 24:18, 177:2 177:15 bust 115:16 Buttes 5:24 buy 41:12, 45:11 45:21, 51:1 103:24, 109:15 111:8 buyer 36:16, 41:5 41:6, 43:8 178:21 buyer's 42:1 buyers 21:14 buying 111:9 111:9, 113:9 119:24	152:3, 165:25 187:21, 195:2 203:14, 203:15 called 15:15, 18:1 20:17, 21:9, 23:4 24:19, 24:21 42:20, 44:14 59:17, 61:20 72:21, 133:3 139:7, 149:16 calling 200:1 calls 11:13 186:13 Canadian 77:25 89:13 canceled 173:9 candidate 62:11 Cap 20:17, 20:20 21:4, 21:9, 22:12 22:16, 23:10 23:12, 38:14 160:16, 177:15 177:21, 179:24 180:5 capable 186:16 Capacities 5:3 capacity 74:15 76:7, 76:20 76:21, 82:20 144:12 capture 69:9 captured 86:6 86:9 care 48:12 career 13:3 166:22 careful 30:1 164:25 carried 41:8 Carrizo 138:19 138:22, 139:2 Carrizo-Wilcox 137:20, 137:24 139:7, 141:24 142:5, 142:15 171:16 carry 49:14 case 11:12, 33:14 33:19, 39:14 45:15, 53:7 73:22, 92:14 92:17, 108:14 108:25, 125:24 126:1, 141:18	144:4, 145:3 147:10, 162:19 182:1, 197:12 197:14, 197:19 198:15 cases 111:11 187:3 catching 16:17 categories 27:22 27:25 category 72:24 149:16 caught 78:5 189:13 cause 16:13 caused 156:7 187:23 causes 68:18 Cedar 7:4, 32:18 33:19, 36:10 55:5, 60:22 61:10, 61:18 62:1, 62:4, 62:10 62:15, 105:10 105:13, 106:10 108:9, 142:22 152:12, 152:15 152:18, 153:1 153:5, 153:8 155:3 Celanese 195:1 center 87:21 Central 80:12 80:16, 89:5 89:10 cents 108:3 CEO 24:21, 24:22 25:1, 25:9 certain 21:18 25:14, 44:20 70:13, 141:10 163:3 certainly 69:25 135:19, 160:19 182:3 CERTIFICATE 3:15 Certified 1:22 205:4, 205:18 certify 205:5 205:8 CH2M 14:16 14:17, 14:19 chain 33:7
---	---	---	---	---

chairman 88:18 183:10	40:3, 42:22, 50:1 62:19, 62:20	COA/Recharge 6:18	58:4, 99:4 107:12, 122:5	167:15
challenge 157:16	96:9, 99:8	Coast 114:22	138:23, 143:10	compare 36:12 51:20, 80:21
challenged 157:24	103:23, 103:24 104:14, 106:10	Coastal 171:16 171:25	144:20, 158:1 158:9, 163:7	83:2, 107:23 155:6
challenges 157:23	107:9, 107:22 108:24, 109:3	Code 27:21 27:22, 150:8	163:8, 173:15 184:1, 184:4	compared 29:20 54:16, 59:5, 66:9
chance 16:16	110:9, 111:15 112:7, 112:19	coincidence 12:5 60:16	192:9, 197:17 198:7, 201:4	79:13, 103:8 104:24, 107:11
change 6:16 147:5, 148:13	113:17, 113:19 113:23, 120:24	coincidentally 88:24, 109:20	203:7	108:7, 178:18
155:22, 157:7 179:24, 201:25	133:22, 133:23 141:24, 142:6	161:19	comes 33:15 33:16, 64:10	comparison 6:18 94:11, 103:6
changed 57:19 77:5, 157:19	142:14, 142:18 142:21, 142:24	coinciding 31:6 collecting 84:18	67:6, 194:3	compensated 22:11, 22:25
changes 144:14	151:16, 152:7 154:16, 175:16	color 67:15, 72:9 74:17, 75:14	162:8, 201:8	23:19, 24:25
changing 140:1	175:19, 179:17 182:3, 187:9	78:8	coming 69:23 71:17, 91:24	compensation 23:22, 23:25
Channel 167:8	188:1, 195:7 195:18, 196:1	Colorado 5:18 6:9, 15:1, 33:15	201:21	25:3
Chapter 150:8	196:2, 196:7 civil 12:17	33:18, 76:1 93:24, 111:24	commenting 201:18	competitive 178:13, 178:15
charge 102:12 180:14, 183:11	166:16 clarify 107:24	165:8, 167:16 178:19, 188:20	Commission 13:5 13:8, 13:13	181:11, 182:2
chart 57:16 57:20, 58:5	150:10 clarifying 17:15	189:2, 189:3	18:11, 18:15 19:17, 150:1	competitively 155:3
58:12, 72:10 72:18, 94:15	196:17 classic 94:10	colored 53:2 67:10, 67:13	Commissioners 8:18, 18:17	compiled 63:11
94:19, 107:20 118:19	classification 145:24	72:2, 73:1	184:11, 184:13 184:16, 184:17	complete 38:2 39:19, 117:6
charting 71:20	clear 202:6 202:23	colors 72:5, 72:5 column 52:2	184:18, 184:20 184:21, 185:8	124:15, 174:12
chase 181:13	clearly 35:10 73:7, 87:1	52:10, 57:5 58:24, 60:1, 60:5	185:9, 185:15 191:23	completed 23:1 23:7, 23:14
cheaper 182:11 182:12	client 179:21 clients 13:18	60:6, 60:10 60:12, 60:13	commit 114:2 115:15	172:10, 174:7
checking 136:5	13:22, 14:6 14:12, 146:13	61:2, 64:1, 64:11 72:15, 85:4	commitment 115:7, 115:18	186:15, 196:15
checks 23:3	168:10 climate 5:4, 5:5	100:25 columns 56:1	117:18, 149:15	196:20
chief 15:14, 16:7 24:17	5:7, 5:11, 78:14 78:19, 78:20	101:15, 132:23 combination	Commitments 8:9	completely 73:25 97:24
Chisholm 134:4	79:3, 79:6, 80:11 81:8, 82:2	45:24, 61:23 70:19, 121:2	committed 41:18 115:8, 115:13	complex 33:2
choose 103:13	Climatological 5:8	107:9 combined 5:12	115:24, 149:12	complicated 96:23
chose 78:23	close 79:8, 94:22 192:10	5:14, 63:18 63:19, 63:22	committee 19:6 88:18, 183:12	complied 133:2
circled 74:25	closes 192:5 cluster 75:24	64:13, 82:11 83:14, 148:6	commonly 35:13 67:7, 101:5	complimentary 35:6
circumstance 51:5, 95:1	Co-Counsel 10:25	148:24, 149:1 149:4	communicating 85:1	composed 172:4
circumstances 176:7, 176:8	COA 7:11	combining 61:16 115:2	communication 73:13	comprehensive 158:19
cite 74:8, 201:2		come 37:2, 42:6	community 177:2 company 18:1	comprise 158:24
cited 160:2			44:14, 92:6 167:11, 167:13	compute 67:12 71:13
cities 4:10, 33:6 91:13, 105:16				computed 84:1 101:3, 101:9
106:15, 107:20 153:13, 153:19				113:13
161:11				computers 145:5
city 7:7, 7:9, 7:16 7:18, 7:19, 7:21				concept 30:9 44:19, 46:12
7:22, 8:4, 15:7 17:17, 30:22				46:14, 151:11
32:17, 33:16				159:19, 161:2

193:13	76:22, 76:23	151:25, 166:18	76:8, 85:20	59:20
concepts 43:16	76:25, 88:21	consult 22:21	85:22, 95:15	conversation
159:10, 159:15	147:16, 177:11	consultant 20:10	97:1, 99:5, 102:2	100:10
concern 170:17	179:5	24:14, 25:8	115:15, 141:15	conversations
183:13	conservation 1:2	180:9, 180:11	150:23, 155:1	161:5, 183:12
concerned 68:7	2:12, 35:15	consulting 12:4	180:11	183:15
73:13, 118:22	126:13, 126:20	13:17, 14:20	continued 3:8	conversion 31:18
170:12, 172:7	126:21, 128:10	18:3, 18:20	13:21, 35:7	37:21
177:8, 189:8	170:22, 171:3	23:23, 24:1	123:15, 123:17	converted 104:20
concerning 176:7	171:5, 171:23	166:23, 167:2	141:18	111:1, 123:24
176:13	conserve 195:9	167:11, 167:15	continues 87:5	124:10, 124:14
conclude 22:5	consider 19:8	167:22, 167:25	95:13, 100:11	copied 64:15
36:9, 37:16	19:18, 19:21	177:18, 177:18	continuing 23:13	copies 106:16
43:12, 104:12	19:25, 20:6	consummated	23:16, 23:19	158:22, 158:23
111:5, 112:14	37:13, 51:7	24:10	29:18, 58:19	copy 12:6, 12:12
113:6, 181:3	116:12, 120:3	contact 40:3	152:20	12:13, 127:21
204:13	125:13, 127:5	103:7, 103:10	continuous 31:15	130:13, 135:10
concluded 3:14	140:3, 144:15	contacts 30:21	158:21	135:20, 135:22
43:13, 204:15	153:8, 169:4	contained 12:14	continuously	136:3, 136:10
conclusion 76:16	170:6, 178:20	27:21, 117:10	71:3, 141:7	136:22
97:4, 201:22	184:19, 184:22	contemplate	contract 6:22	corner 98:13
conclusions 46:5	considerations	198:21	16:19, 20:4, 39:6	131:10, 131:12
95:25, 97:11	125:13, 125:16	contemplated	41:4, 41:7, 42:20	156:17
98:9, 107:15	125:19, 150:1	159:11	42:23, 42:25	Corporation 2:19
116:22, 155:25	considered 20:18	contemplating	43:5, 43:6, 43:15	10:18
156:2, 201:6	32:3, 35:9	159:16, 175:15	43:16, 44:2, 44:6	correct 11:8, 11:9
201:11, 201:19	105:24, 141:23	175:17	45:6, 45:17, 50:2	12:6, 12:13
204:7	147:23, 156:1	contend 158:23	50:18, 50:22	17:21, 25:15
concrete 93:9	156:6, 159:23	content 74:17	66:3, 97:16	26:1, 48:13
93:13	168:16, 185:7	74:18, 76:15	103:20, 103:25	52:25, 54:7
conditions 72:7	185:11, 187:8	85:5, 85:15	113:20, 115:24	55:12, 55:21
78:11, 85:18	considering 21:6	85:19, 86:11	120:20, 120:24	55:22, 56:8, 56:9
85:21, 86:23	128:3	86:22, 90:7	148:19, 151:9	57:17, 58:20
97:2, 172:1	considers 125:19	118:3	151:11, 161:6	58:21, 64:9, 65:3
conduct 13:25	consistent 39:18	contents 3:1	173:9, 182:18	65:5, 65:10, 66:4
38:13	50:5, 58:4, 73:2	74:13, 82:22	186:7, 186:8	66:18, 67:17
conducted 21:12	80:23, 81:5, 82:2	85:21	contracted 35:1	67:18, 75:15
26:17, 59:12	84:3, 84:11, 97:9	contest 199:5	115:6	79:19, 79:20
conducting 14:10	113:12	199:21, 200:2	contracting 41:4	80:13, 80:14
30:10	consistently	200:5	63:5, 127:17	82:15, 82:16
confused 118:4	187:11	contested 125:24	147:9	84:10, 84:16
confusing 111:4	consortium 45:16	126:1, 162:19	contractors	84:17, 87:13
confusion 162:16	127:14	199:2	196:13	87:16, 87:24
Congress 2:5	constant 62:8	contesting	contracts 16:19	89:7, 100:6
2:15, 2:21	75:9, 147:18	198:23, 199:16	33:20, 39:23	102:18, 102:23
conjunctive	constantly 68:16	199:22, 202:5	40:2, 99:19	104:8, 104:11
139:11	171:10	202:10	114:14, 153:14	104:25, 106:1
connection 14:10	construct 38:6	contingent 25:10	153:19, 154:17	108:25, 109:9
20:10, 23:23	39:20, 49:7	70:12	contrast 45:7	109:10, 125:4
24:1, 26:12	143:17	continue 22:21	control 37:7	127:18, 128:18
26:16, 32:10	constructing	22:22, 25:3, 25:5	112:1, 170:1	128:19, 128:22
33:24, 37:12	46:12	31:16, 31:19	174:13, 205:11	129:6, 131:20
38:4, 38:6, 40:19	construction	34:11, 34:25	controlled 189:3	132:20, 132:24
42:16, 71:17	106:1, 116:3	54:13, 54:14	convenience	134:19, 135:24

136:6, 139:11 139:15, 140:11 143:8, 143:25 144:4, 145:18 145:19, 148:8 148:23, 149:13 149:14, 149:21 150:13, 150:16 162:2, 168:23 169:2, 172:15 172:24, 175:22 177:24, 178:2 179:10, 179:13 180:6, 180:20 180:25, 187:16 188:8, 188:12 190:16, 193:3 194:22, 202:15 205:12 corrected 131:1 134:7 correctly 124:11 126:6, 128:6 138:19 cost 7:3, 7:10 7:16, 7:18, 8:4 20:7, 21:17 21:21, 29:20 35:2, 35:6, 36:3 37:9, 38:21 44:22, 44:22 45:2, 45:19 50:14, 102:10 102:13, 105:15 105:20, 105:24 106:20, 107:16 107:23, 108:9 108:10, 110:16 110:23, 111:6 111:8, 111:11 111:12, 111:13 112:25, 113:4 113:9, 113:14 120:1, 154:23 155:7, 156:7 171:13, 176:9 178:8, 178:12 178:15, 178:18 179:5, 182:13 cost-effective 50:13 costs 7:4, 7:5, 7:6 29:19, 29:22 36:6, 39:16	39:22, 41:16 41:22, 41:23 41:24, 45:4 102:12, 104:6 104:23, 106:2 108:12, 110:10 110:21, 111:7 112:3, 112:19 113:8, 113:12 113:13, 155:8 176:8, 176:18 Costs/1000 8:3 Cotton 166:23 167:2, 167:25 council 42:22 103:23, 175:16 195:18 counties 4:5, 4:7 4:13, 4:15, 4:19 22:8, 31:10 51:10, 51:16 52:14, 75:3 77:23, 77:23 87:22, 128:21 134:19, 135:1 159:14, 181:5 196:1 county 1:19, 4:10 4:10, 4:12, 4:20 8:15, 8:18, 17:2 32:5, 44:10 46:13, 51:17 51:23, 53:4, 53:5 54:7, 55:4, 55:25 56:13, 56:15 56:16, 57:4 58:23, 63:16 64:18, 116:4 118:18, 126:19 129:1, 131:18 132:19, 132:19 133:3, 133:11 134:15, 134:25 137:20, 137:25 138:1, 138:2 139:14, 140:19 176:10, 176:14 178:25, 179:18 183:13, 183:14 183:24, 184:3 184:4, 184:6 184:9, 185:8 185:13, 190:15 190:21, 192:3	194:14, 195:21 205:3 county's 51:22 54:14 couple 16:7, 17:5 18:24, 42:22 67:3, 78:6, 90:25 93:22, 102:25 133:20, 149:8 159:12, 159:20 183:8, 196:14 198:25 course 115:13 court 8:19, 18:23 18:24, 18:25 19:1, 19:10 19:12, 26:20 136:22, 184:11 184:13, 184:16 184:19, 184:20 184:21, 185:8 191:23 Courthouse 1:19 cover 130:2 covers 156:21 create 99:2 112:16, 171:5 171:19, 172:3 193:24 created 15:3 18:1, 34:13, 96:9 143:14, 167:6 creates 15:5 156:12, 156:14 creating 45:20 Creek 61:21 108:18, 143:2 143:4, 143:11 143:12, 143:19 152:23, 155:7 criteria 98:3 criterion 71:7 86:15, 98:4 CRMWA 90:12 91:4, 91:13, 92:7 92:10, 93:6 93:16, 188:21 CRMWA/Lake 6:5 CRMWD 93:23 cross 3:10, 3:13 118:7, 121:11 121:12, 192:17 198:22, 199:20 cross-examination	123:10, 123:19 192:23 CSR 205:19 cumulative 6:12 94:13 curious 59:21 current 13:9 29:22, 31:17 32:4, 33:11, 36:3 36:13, 53:13 53:22, 54:19 57:22, 61:6 65:20, 65:21 71:15, 73:17 73:23, 80:23 81:5, 84:2, 94:11 94:18, 94:23 95:19, 96:14 97:18, 100:24 101:4, 101:21 102:13, 106:20 107:15, 108:12 115:1, 115:12 118:5, 119:25 141:16, 170:3 183:19 currently 34:6 36:13, 49:25 78:11, 106:10 108:8, 113:8 182:18, 195:18 curtailed 148:22 curtailment 145:25 curve 86:21 curves 54:18 54:19, 54:19 94:22 cusp 34:6 customer 30:4 32:22, 35:3, 40:8 40:14, 40:17 41:10, 41:15 43:21, 61:24 62:11, 62:16 62:18, 102:10 115:22, 162:9 customers 4:15 29:21, 30:21 32:5, 32:12 32:19, 32:25 33:6, 33:7, 33:9 33:10, 34:10 36:4, 36:7, 55:3	60:17, 60:20 60:23, 61:24 62:14, 65:23 69:24, 74:24 97:16, 100:2 100:2, 100:9 108:20, 110:5 119:7, 120:20 120:25, 143:20 161:12, 161:21 179:6, 179:8 179:13 cut 189:8 CV 12:6, 12:14 12:25, 168:22 cycle 157:6 157:22 D daily 5:15, 5:16 144:21, 144:22 145:1 Dallas 166:23 196:7, 196:7 196:8 dam 13:11, 15:5 50:25, 93:9 93:11, 144:16 174:6, 174:12 175:5, 189:1 damages 126:10 126:10 dams 70:15 174:21 dark 67:15, 73:1 74:20, 78:7 darker 67:15 dashed 85:17 85:22 data 29:1, 29:3 29:5, 29:17 51:18, 55:21 55:25, 56:2, 56:5 56:8, 59:24, 76:3 81:17, 81:17 81:18, 82:2 91:14, 102:21 102:22, 107:9 107:12, 109:9 112:16, 157:3 173:16 date 73:24, 95:22 127:23, 181:6
--	--	---	---	--

192:10	definitely 105:19	129:13, 130:4	depict 75:8	129:15, 139:25
dates 6:10, 85:8	definition 27:21	133:5, 145:9	depicted 54:10	161:20, 170:7
94:14	49:19, 83:25	145:10, 145:13	74:4, 84:3, 94:8	170:20, 190:3
David 2:14, 10:20	degree 75:22	145:17, 146:2	106:22	198:20
Davis 151:24	166:15	147:11, 147:15	depiction 72:6	developed 89:20
day 1:17, 32:8	degrees 12:16	147:22, 147:25	79:9	161:17, 190:19
47:7, 72:2, 120:3	deliver 21:21	148:1, 148:4	depicts 74:17	developing
145:12, 150:15	29:20, 36:7	149:5, 150:22	83:21, 84:22	168:11, 190:2
150:19, 150:20	36:10, 41:12	152:17, 153:2	85:11	development
150:22, 151:4	43:18, 62:25	157:2, 164:16	derivation 70:20	29:2, 31:14
151:15, 200:1	65:22, 65:25	165:7, 176:7	71:11	39:16, 42:13
200:1, 205:15	89:21, 102:12	186:11, 190:8	derive 52:2	49:24, 51:21
days 18:15	104:16, 105:5	demands 8:9	describe 30:4	53:14, 53:21
184:15	150:18, 179:6	8:13, 8:15, 29:16	70:22, 94:11	54:24, 74:8
de 33:1	180:24, 181:5	31:19, 55:8	138:6, 158:10	74:12, 129:7
deadlines 203:7	190:7, 196:2	57:22, 57:24	166:13	132:18, 137:24
deal 104:5	deliverable 44:18	58:18, 60:25	described 38:17	139:7, 156:13
104:23, 105:2	delivered 21:17	61:6, 62:8, 63:14	75:24, 98:14	156:14, 156:21
105:2, 105:2	44:10, 47:7	68:21, 70:18	141:13, 172:5	157:12, 157:18
127:6, 127:8	113:1, 151:8	70:19, 108:15	185:5, 191:17	163:18, 164:15
deals 17:17	160:11, 176:18	117:12, 129:14	191:18	175:22
death 184:17	179:8, 181:18	129:16, 129:17	describes 27:23	diagonal 75:22
debt 31:6, 39:24	183:23, 186:16	129:18, 129:20	138:5	dialogue 37:10
108:17	delivering 39:16	132:7, 133:12	description	diameter 168:9
decade 51:20	45:23, 113:15	164:14, 175:1	131:23, 166:20	difference 35:21
53:24, 63:22	119:6, 161:4	177:9, 186:18	design 196:11	36:1, 94:20
63:23, 64:2	delivery 44:9	186:19, 186:22	196:15	95:16, 111:8
decades 51:20	61:20, 105:12	190:1	designated 26:7	111:10, 111:11
52:4, 52:6, 56:3	105:20, 176:9	Demanmd 4:17	26:10	111:13, 132:8
decay 51:21	178:9, 186:14	demonstrate	designation 4:3	139:21, 148:6
December 101:22	delve 48:17	28:20	25:22	194:17
203:25, 204:4	demand 4:9, 4:12	demonstrated	designed 143:18	differences 57:23
decide 18:5	4:14, 4:18, 4:20	51:12, 52:14	168:8, 168:9	different 21:2
22:16	9:6, 9:10, 29:9	55:13	detail 142:9	25:2, 57:24
decided 32:9	29:25, 30:2, 30:3	demonstrates	144:17	67:19, 78:14
109:4	30:7, 31:9, 31:22	90:20	detailed 144:15	83:11, 85:17
deciding 125:13	32:11, 32:11	demonstrating	details 17:8	91:7, 98:17
150:2	51:7, 51:9, 53:15	66:20, 94:1	21:10, 24:9	100:19, 100:22
decision 20:25	55:11, 56:13	demonstration	42:11, 42:13	101:15, 105:25
declaration 98:1	56:21, 57:3	119:1	48:17	116:21, 117:24
declare 86:13	57:11, 57:11	department	deter 41:6	124:12, 127:23
86:18, 97:7	58:12, 58:13	142:25	determine 28:12	141:4, 145:24
declared 98:4	58:15, 58:18	depend 90:17	28:14, 132:6	146:8, 150:8
98:5, 148:16	58:19, 58:22	dependably	132:9, 132:15	152:15, 157:3
187:23	59:6, 59:9, 59:9	70:22, 71:4	145:7, 178:12	157:16, 160:7
declares 97:20	59:11, 59:13	depended 91:17	179:15	160:22, 171:6
declaring 97:13	59:19, 59:21	dependent 68:5	determined 104:7	179:1
decline 102:1	60:7, 60:14	68:12, 71:11	172:18, 179:16	differently 128:13
deem 155:11	60:22, 61:2, 61:4	91:20, 177:5	determining	difficult 107:11
deemed 27:25	62:2, 63:6, 64:18	187:15	28:24, 170:2	difficulty 187:1
38:1	66:7, 66:13	depending 40:1	develop 16:15	dig 193:22
defend 18:22	66:14, 66:14	67:22, 134:22	28:18, 35:4	digging 193:23
define 150:19	113:18, 128:20	150:19	36:13, 44:15	diligence 20:18
definite 179:16	129:6, 129:8	depends 196:5	49:6, 126:17	21:13, 22:12

22:13, 23:1, 23:8 23:14, 26:17 37:12, 37:18 38:14, 88:22 177:21, 177:22 dire 174:1 direct 3:6, 3:12 11:12, 11:23 43:17, 73:15 149:5, 166:9 197:12, 197:14 197:19, 198:15 directed 28:12 directly 15:25 17:14, 18:15 33:8, 91:4 104:18, 113:20 127:21, 144:23 160:2, 189:21 director 18:19 183:11 disagree 201:21 disagreed 176:10 199:20 disagreement 202:13 disclosure 107:3 107:3 discussed 133:9 discussing 113:16, 113:21 141:12 discussion 11:5 68:10, 179:20 204:1 discussions 42:6 162:4, 183:4 183:7, 183:10 183:21, 184:3 185:23 disperse 143:20 dispersed 76:14 display 67:7 displaying 84:19 disputing 201:20 distance 105:12 161:4 distant 119:6 distinction 29:24 55:22 distinguish 30:8 distracted 120:17 district 1:2, 2:12 18:25, 22:8, 37:6	38:1, 38:7, 46:20 61:14, 93:24 116:6, 116:7 119:13, 119:17 124:24, 125:9 126:20, 126:21 128:11, 128:11 158:14, 162:15 175:17, 189:4 189:5, 195:19 199:2, 203:10 districts 15:21 37:6, 126:13 171:8 diverged 95:21 diversification 92:15, 112:4 diversify 111:22 diverted 115:6 divided 60:14 division 5:4, 5:5 5:7, 78:15, 78:20 79:1, 79:2, 79:6 80:12, 82:2 divisions 5:8 78:14, 78:20 dlein@gdhm.com 2:17 Docket 1:1, 10:9 document 7:15 160:3 documentary 163:13 documents 129:19 doing 17:23 18:14, 18:21 24:18, 38:4 38:18, 93:21 103:19, 116:12 119:9, 119:11 123:11, 165:24 190:23, 192:16 192:21 dollars 107:18 108:19, 111:1 dot 74:17, 76:6 77:19, 77:20 77:25 dots 75:4, 75:5 75:7, 75:16 87:19, 112:21 Dougherty 2:15 10:21	download 55:24 74:7 downloaded 29:3 74:10, 91:4 downs 80:21 downstream 46:13, 70:13 70:16, 93:11 114:21, 115:3 116:2, 118:17 130:6, 193:15 downward 80:22 81:19, 81:22 dozen 19:2 Dr 96:7, 96:12 96:16, 96:22 98:9 draft 6:18, 158:4 drafted 191:21 dramatic 56:22 draw 97:11 131:14 drawing 131:13 drawn 116:22 194:5 drew 76:4 dried 188:24 drill 17:12, 182:7 drive 68:21 driven 70:11 70:20, 141:9 driver 39:22 drives 178:14 drop 70:3, 90:7 101:12 drought 4:21 4:23, 4:23, 6:4 6:13, 6:17, 34:6 34:7, 34:12 34:16, 35:18 46:9, 46:10 46:10, 65:21 66:17, 67:1, 67:4 67:5, 67:8, 67:11 67:12, 67:12 67:14, 67:16 67:25, 68:4, 68:9 68:17, 68:18 68:19, 68:22 68:24, 68:25 69:12, 70:2 70:23, 70:24 71:2, 71:4, 71:12 71:14, 71:15	71:18, 71:19 71:20, 71:25 72:6, 72:11 72:13, 72:17 72:21, 72:22 72:24, 73:5, 73:8 73:17, 73:20 73:23, 74:1 76:11, 76:13 77:17, 78:10 79:9, 79:10 79:12, 79:13 79:16, 79:17 80:24, 81:5, 82:4 83:3, 83:6, 83:22 84:1, 84:2, 85:20 86:14, 86:14 86:18, 86:22 87:5, 88:6, 88:19 91:16, 91:24 94:3, 94:3, 94:12 94:12, 94:18 94:23, 94:24 95:2, 95:19 95:20, 95:23 95:23, 96:14 97:1, 97:8, 97:8 97:13, 97:14 97:14, 97:18 97:18, 97:20 97:21, 97:21 98:1, 98:2, 98:6 98:6, 100:4 100:5, 100:5 100:6, 100:7 101:2, 101:21 101:24, 119:15 144:3, 148:14 156:7, 156:8 156:8, 170:11 172:1, 173:17 173:18, 173:19 176:25, 187:22 188:7, 188:11 190:4 droughts 67:19 67:23, 67:24 73:6, 73:12 73:15 drove 170:8 dry 77:18, 84:24 87:6, 88:2, 89:11 89:12, 89:12 90:5, 92:9, 92:24	93:21, 145:12 173:12, 173:13 189:14 due 6:17, 20:17 21:12, 22:11 22:13, 23:1, 23:8 23:14, 26:17 37:12, 37:18 38:13, 46:8 88:21, 156:15 177:20, 177:22 204:4, 204:5 duly 11:22 123:17, 166:8 duplicated 56:16 103:10 duplication 9:18 duration 31:6 duty 166:24
E				
earlier 23:6 42:12, 44:1, 49:1 51:6, 63:2, 66:16 85:25, 87:20 98:12, 103:15 149:20 early 38:17 121:22 easier 64:3 easiest 60:24 easily 98:14 121:3, 153:7 east 76:8, 76:16 77:8, 77:9, 77:18 easy 91:12, 199:1 economical 39:17, 182:5 economically 65:22 edge 83:13 education 19:15 educational 166:13 Edwards 78:21 effect 113:6 effective 29:20 35:6 efficient 39:5 39:9, 171:9 effort 180:20 efforts 93:20 eight 75:25, 173:2				

either 19:5, 33:8 34:5, 35:5, 115:8 126:16, 132:8 133:6, 133:11 134:13, 163:7 194:2 elaborated 38:20 elected 172:20 electric 15:8 168:6 electrical 16:8 electricity 15:7 elements 172:5 elevation 6:3 Elevations 5:15 5:16 email 2:6, 2:11 2:17, 2:22 embed 45:14 embedded 41:23 43:16, 44:7 44:19, 88:8 106:5, 111:12 emergency 50:24 51:2 employ 177:19 employed 167:4 171:5 employment 12:25, 19:15 166:21, 168:21 170:5 empty 68:15 74:19, 74:21 76:2, 87:23, 90:9 90:9 encounter 77:14 endangered 188:8 ended 90:15 155:9 ends 69:17 energy 44:21 45:1, 45:2, 106:2 engage 168:15 engaged 20:13 22:12, 46:22 179:25 engagement 177:10, 181:2 engaging 21:4 engineer 12:20 13:3, 13:16 15:15, 166:22	167:25 engineered 104:5 engineering 12:18, 12:22 13:15, 14:10 18:1, 18:2, 24:20 166:16, 167:10 167:14 engineers 166:23 167:2, 176:4 enhanced 171:23 enjoy 76:8 ensure 173:3 enter 36:16 37:14, 39:22 100:10 entered 42:21 50:1, 104:1 114:15, 161:5 171:18 entering 30:21 41:6 enters 99:20 entire 15:16 15:23, 72:8 72:25, 76:12 90:16, 90:16 97:15, 145:2 158:23, 158:24 159:3, 159:8 163:25, 174:8 190:6 entirely 90:16 entirety 44:15 80:22, 163:15 entities 32:7, 33:5 45:18, 49:22 55:8, 61:17 61:17, 62:5 65:17, 66:5 103:17, 106:18 107:5, 108:7 138:1, 143:10 154:2, 154:6 154:21, 157:15 168:15, 179:18 181:4, 185:18 190:1 entitled 57:5 entity 15:3, 20:17 23:4, 103:19 103:19, 103:25 126:9, 143:14 167:18, 167:23	180:9, 196:18 environmental 70:13, 150:2 167:11, 167:15 envisioned 171:21, 187:6 195:13 equation 129:15 equipment 150:21 especially 62:16 Espey 13:12 13:13, 13:14 14:16, 14:18 167:9 Espey-Huston 168:1 essence 23:15 44:17, 44:23 53:2, 69:3, 89:15 112:9, 112:17 117:13, 179:13 essentially 15:4 15:18, 16:11 16:24, 28:16 30:9, 31:5, 33:14 35:24, 37:10 38:22, 45:14 46:11, 55:7 57:22, 60:2 62:14, 65:20 66:10, 67:9 70:24, 74:20 78:21, 84:22 90:9, 93:8, 95:8 98:18, 101:24 103:10, 109:15 145:23, 146:6 160:10, 161:8 establish 104:6 establishing 16:4 estimate 52:7 102:7, 106:20 114:22, 114:25 144:23 estimated 139:14 estimates 7:3 113:4 evaluate 18:4 21:4, 27:13, 35:4 37:13, 62:21 70:8, 157:17 177:15 evaluated 22:5	71:17 evaluating 21:20 evaluation 16:13 evaluations 19:22, 23:16 evaporation 35:23, 35:24 36:1, 69:23 144:2, 144:12 144:23 event 192:3 193:14 eventually 13:15 76:21, 87:6 92:10 everybody 122:3 evidence 11:11 163:14, 181:14 198:23, 199:13 199:15, 199:20 201:3 exact 27:2, 79:7 144:9, 144:10 157:20 exactly 24:8 27:15, 28:11 83:4, 89:14 89:25, 90:3 105:14, 134:3 138:3, 159:22 164:17, 170:13 198:24 EXAMINATION 11:23, 155:19 166:9 examine 178:9 examining 178:22 example 33:21 39:13, 49:13 50:3, 53:8, 55:23 58:9, 60:12 70:12, 72:14 87:8, 103:14 107:22, 108:25 117:3, 119:3 152:24, 155:10 193:19, 195:8 examples 160:2 exceed 61:15 121:3 exception 49:25 60:25, 61:25 130:4	exceptional 72:22, 72:24 exceptions 133:21, 148:18 excerpts 9:3, 9:5 9:8, 158:18 excess 115:25 193:13 excited 197:25 exclusively 187:15 excuse 17:9, 17:9 33:6, 37:1, 52:8 58:14, 63:23 80:25, 83:8 83:16, 86:21 99:7, 100:23 112:18, 132:16 141:16, 160:12 excused 165:21 197:3 executive 18:18 24:18, 185:13 exhibit 4:1, 5:1 6:1, 7:1, 8:1, 9:1 10:4, 10:6, 12:7 12:8, 12:11 12:12, 12:14 12:24, 25:21 25:23, 26:5 47:21, 48:5, 48:7 48:9, 48:11 51:12, 51:14 52:19, 52:21 54:12, 54:21 55:20, 56:10 57:14, 59:7 59:15, 63:8 66:25, 74:4 78:13, 78:25 79:19, 81:1 81:18, 81:23 82:10, 82:18 82:18, 83:10 83:14, 83:20 84:5, 84:14 87:12, 87:18 89:21, 94:1, 94:6 96:3, 96:5, 96:10 98:25, 100:13 100:18, 102:2 103:1, 106:11 107:17, 109:6 110:13, 110:14
--	--	--	--	---

110:15, 112:6 112:12, 114:7 116:15, 117:21 130:24, 130:25 131:7, 133:1 135:4, 138:9 138:10, 138:11 139:4, 140:8 140:16, 149:10 149:11, 155:21 158:24, 164:9 168:23, 169:5 169:6, 169:9 169:13, 185:2 185:3, 185:4 191:7, 191:14 191:16, 192:11 192:13 exhibits 12:11 47:10, 47:14 47:20, 55:14 66:20, 66:23 71:23, 76:12 78:9, 80:11 80:19, 81:11 82:8, 87:12 102:11, 102:17 102:20, 102:25 114:16, 128:17 128:17, 128:20 129:5, 129:10 129:22, 129:24 130:2, 130:3 130:14, 130:14 130:19, 131:6 149:9, 149:11 156:3, 156:18 156:18, 157:8 158:16, 159:6 164:10, 164:13 198:19 exist 128:14 existed 125:9 existence 67:13 existing 29:18 41:19, 106:7 129:11, 129:22 129:23, 132:7 132:12, 133:6 133:12, 137:16 152:20, 176:14 176:22, 188:16 exists 67:14 expand 118:24	expanded 7:14 57:18 expansion 62:5 expect 117:14 124:15, 151:3 151:5, 182:21 184:21, 184:24 201:9 expectation 151:5, 181:17 expense 182:7 expenses 22:14 44:20 expensive 105:3 108:13, 152:20 154:2 experience 13:2 13:4, 14:15, 16:3 16:4, 162:6 173:11, 195:23 experienced 173:18 experiencing 34:17, 71:18 79:18, 85:21 176:24, 176:25 189:11 expert 4:3, 18:7 19:9, 19:10 19:12, 19:18 19:21, 19:25 20:6, 26:4, 26:7 169:4, 169:12 169:15, 169:18 176:3 expertise 20:9 25:16, 25:17 158:11, 169:1 experts 25:23 expire 41:1 Expires 205:19 explain 30:1 43:22, 50:8, 53:9 67:9, 68:8, 91:6 103:4, 145:20 145:22, 154:18 162:9, 193:11 194:19 explaining 78:10 explicitly 63:13 export 66:12 Expressway 205:21 extend 54:2	77:17, 78:22 extended 57:25 95:14, 101:25 extending 53:25 extends 72:10 extension 24:19 159:25 extent 50:1, 67:7 extra 105:15 extracted 106:19 extreme 67:15 85:20, 86:22 150:17 extremely 76:1 eyes 142:12 F face 89:15, 93:9 faced 16:14 34:16 facilities 15:19 33:1, 62:12 152:21, 171:22 174:19, 195:12 facility 151:18 193:18, 193:21 193:24, 194:13 194:24, 195:15 fact 54:15, 55:5 60:24, 65:24 68:2, 95:14 97:23, 105:7 126:24, 147:4 147:10, 158:20 159:15, 162:8 172:25, 176:24 178:15, 184:7 188:18, 188:25 200:22, 201:6 factor 108:4 178:21 factors 37:13 105:25, 156:9 177:23 facts 6:5, 89:24 202:11, 204:7 fail 50:25 fails 92:17 fair 103:20 128:15, 138:4 139:5, 168:10 fairly 31:20, 43:2 44:4, 54:14, 62:8	108:15, 111:9 154:10, 199:14 fall 20:15, 68:13 69:19, 69:25 85:22, 86:23 86:24, 87:2 96:25, 97:6 98:17, 98:22 99:4, 99:5, 99:11 falling 69:3, 71:16 83:1, 83:5, 83:19 86:8, 86:10 91:23 falls 27:22, 27:24 69:6, 75:8, 86:16 familiar 27:11 41:18, 46:1, 46:7 130:9, 149:25 150:5, 168:14 186:4, 186:6 186:6 family 184:17 fan 85:16 far 17:13, 25:6 28:22, 42:8 46:21, 59:8 72:15, 76:16 78:23, 83:1 108:10, 115:25 128:9, 158:11 158:15, 182:17 187:11, 187:13 farmers 68:5 171:8 farthest 59:22 Fax 2:6, 2:16 2:22 fear 89:12 fears 173:15 feasibility 13:25 20:1, 21:5 feasible 175:11 177:24, 178:13 federal 18:24 89:18, 187:22 187:22, 187:23 188:7 fee 153:24 153:24 feeding 69:5 feeds 79:7 189:14 feet 95:7, 95:7 fell 93:16, 149:6	felt 172:13 172:22, 172:25 173:5, 177:16 183:22, 184:5 field 196:20 figuratively 161:15 figure 149:9 filed 125:10 130:19 filing 201:11 202:21, 203:5 fill 24:17, 51:2 77:2, 144:13 145:8, 193:22 194:7 filled 145:13 fills 144:25 145:11 final 16:7, 140:1 158:4, 158:4 158:5, 158:8 finalized 53:12 finally 150:10 182:10 finance 166:18 financial 41:19 106:7, 112:5 financials 112:1 financing 39:19 49:7, 49:9 find 45:11, 64:11 107:9, 116:23 130:15, 136:16 165:14, 187:13 188:4 findings 200:22 201:6, 201:10 201:18, 204:6 fine 48:22, 200:24 201:16, 203:4 203:6 finished 151:25 152:2 fire 16:17 firm 6:16, 10:17 13:15, 13:24 14:20, 14:23 24:20, 33:7, 34:8 34:11, 34:22 70:20, 70:21 71:8, 71:11 71:12, 71:13 71:16, 73:21
--	---	--	--	--

84:1, 92:20 95:10, 97:16 97:17, 97:17 97:19, 97:22 97:25, 99:12 99:17, 99:20 99:24, 100:7 100:15, 100:20 101:2, 101:3 101:16, 101:23 102:2, 102:7 111:20, 111:21 114:18, 114:23 115:23, 115:25 117:12, 118:5 129:24, 138:17 143:22, 143:24 144:8, 145:14 145:15, 145:21 145:21, 146:2 146:3, 146:4 146:10, 146:15 146:16, 146:19 147:6, 147:7 147:13, 147:14 147:17, 147:23 147:23, 149:13 149:15, 167:9 205:20 first 11:22, 13:7 15:14, 18:12 34:19, 37:18 38:12, 38:23 43:21, 46:16 46:21, 47:6, 51:6 55:6, 63:21 76:24, 77:2 77:13, 87:17 88:4, 91:24 99:15, 104:17 106:3, 109:22 112:9, 114:17 125:20, 137:22 150:19, 151:25 154:11, 162:25 166:8, 167:7 174:5, 176:2 177:12, 181:20 181:23, 185:25 190:25, 201:1 five 41:17, 50:9 51:2, 54:16 56:24, 64:22 64:24, 78:4	112:21, 119:19 174:16, 175:14 181:19, 186:23 187:12, 190:25 five-year 40:5 40:10, 41:8, 50:4 50:5, 50:16 50:19, 50:23 52:6, 63:4, 64:7 64:19, 120:5 174:4, 174:25 174:25, 175:10 181:16, 181:20 181:23 fixed 51:3, 140:1 fixing 41:1, 64:12 flat 148:4 flip 89:3, 93:3 flipping 185:4 flood 95:4, 95:8 95:9, 95:11 145:13, 170:1 170:10, 174:13 floods 70:1 flow 33:8, 33:9 flowed 94:16 flowing 35:22 focus 55:7 focused 130:4 170:22 folks 20:17, 39:23 93:20, 161:5 162:14 follow 85:19 following 1:21 148:13, 204:3 follows 11:22 123:18, 166:8 font 142:3 footnote 137:23 force 6:15, 96:11 96:15, 97:5, 99:1 forced 93:17 foregoing 205:11 foresee 51:5 forget 27:2 form 19:5, 20:18 30:10, 37:20 124:20, 143:10 205:10 formal 185:21 formed 34:4, 89:1 former 39:2 forming 42:16	47:8, 48:19 forms 146:6 Forrest 166:23 167:2, 167:25 forth 24:9, 77:9 140:14, 144:2 201:20 forward 23:11 43:14, 46:11 84:23, 118:23 126:5, 172:21 193:6 found 77:6, 93:6 95:24, 106:14 135:23, 136:5 four 32:17, 33:5 33:6, 33:11 37:23, 37:24 55:7, 60:23 61:17, 64:11 72:17, 85:17 85:17, 100:19 100:21, 100:22 107:19, 124:15 134:20, 151:24 fourth 52:11 frame 94:22 161:19, 181:5 framed 202:7 Frankie 39:1 frankly 24:11 159:21 fresh 163:8 Friday 1:12, 1:17 3:3, 10:2, 10:8 123:2 front 18:15, 18:17 157:14 fulfill 31:22 full 5:19, 5:21 5:22, 11:25, 30:5 37:21, 39:11 41:7, 65:24, 70:1 73:25, 74:20 75:11, 77:13 82:19, 82:23 83:20, 83:23 85:6, 92:4, 107:3 117:17, 120:21 123:25, 124:14 128:1, 135:21 145:8, 145:11 145:25, 153:6 166:11, 182:9	184:10, 184:18 205:12 fuller 76:9 fully 152:2 function 13:9 16:12 fund 107:25 108:7, 126:23 fundamental 35:21, 36:24 37:9, 99:19 100:1, 109:14 fundamentally 32:6, 36:1, 40:13 42:25, 43:13 44:8, 50:9, 68:19 68:22, 95:17 130:3, 144:19 funds 126:14 funny 126:22 further 81:18 139:23, 165:17 165:19, 196:22 197:1, 205:8 furthest 60:10 future 8:13, 8:15 45:3, 46:24 49:19, 50:10 50:12, 54:3 58:19, 59:23 61:6, 110:10 112:19, 112:23 117:24, 129:6 132:14, 137:14 149:16, 170:3 170:13, 172:8 172:23, 173:4 173:10, 174:10 174:23, 177:9 183:14, 184:6 184:22, 185:11 187:2, 190:1 203:11 FY 7:4, 7:5, 7:6	garden 17:25 Garwood 114:21 148:19, 170:25 GBRA 160:11 161:6, 161:6 GCD 127:15 gears 102:9 general 2:12, 9:2 10:22, 30:19 33:2, 80:18 91:22, 107:25 108:7, 121:13 126:23, 130:14 130:23, 131:5 158:17, 164:10 167:19, 167:19 171:17, 172:14 173:11, 183:9 198:14 generally 33:3 70:2, 168:3 186:6, 199:22 generate 15:7 generation 15:20 16:9 generic 67:24 geographic 165:2 geographically 76:14 Georgetown 55:5 Gershon 2:20 10:16, 10:16 47:18, 48:3 48:14, 121:10 121:11, 202:4 202:6, 202:11 202:15, 202:18 202:22, 203:1 getting 79:25 161:19, 162:20 give 26:1, 125:12 140:16, 166:20 given 18:7, 19:15 46:2, 100:4 120:4, 173:8 190:18 gives 52:10 138:25, 201:25 Glance 5:11 GM 9:2, 10:6 12:12, 130:25 131:7, 159:6 GM's 155:21 156:3
--	---	---	---	---

go 10:15, 11:4 11:19, 21:1 28:24, 32:9 34:20, 35:4 35:14, 40:2, 41:2 43:4, 45:2, 45:5 45:10, 45:21 49:21, 50:15 51:1, 51:3, 51:22 55:24, 57:5 58:24, 68:15 70:14, 70:15 72:19, 74:9 75:21, 77:14 77:18, 80:1, 80:2 80:4, 85:3, 87:6 89:12, 89:12 89:25, 90:1 93:20, 97:25 102:9, 103:1 104:14, 107:8 109:16, 111:7 113:8, 113:10 113:17, 115:10 119:16, 122:3 122:4, 122:6 122:6, 123:4 123:5, 123:10 127:1, 127:2 136:23, 138:8 140:8, 151:14 152:17, 155:10 155:12, 157:17 161:21, 161:25 162:13, 162:15 163:1, 166:5 172:21, 175:19 177:23, 187:9 188:25, 197:17 198:9, 198:12 198:13, 198:25 202:1, 203:7 204:9, 204:14 go-by 43:19 go-to 106:25 goal 173:1 goes 53:24, 65:16 82:21, 85:14 88:11, 136:19 145:4, 178:16 182:20 going 31:17, 34:9 34:21, 35:2, 37:9 41:11, 41:15	43:14, 44:25 45:4, 49:12 49:20, 50:9 50:14, 50:15 51:22, 53:23 54:17, 55:8 55:23, 57:11 58:2, 59:23 64:13, 68:14 68:15, 73:19 73:19, 80:19 81:7, 84:23, 85:7 90:15, 100:9 103:15, 107:2 107:5, 108:24 124:2, 129:16 131:8, 132:4 135:6, 135:7 135:16, 136:21 138:22, 138:23 143:21, 144:1 144:2, 147:2 152:17, 154:21 154:24, 155:2 157:21, 161:13 162:10, 165:23 170:3, 170:4 172:3, 172:21 173:3, 182:3 182:4, 187:6 188:18, 189:20 192:20, 193:6 194:13, 195:13 198:16, 200:17 gold 43:14 103:16 Gonzales 126:19 good 10:7, 42:1 42:3, 43:15 49:21, 73:13 79:22, 105:21 123:21, 182:6 192:25, 194:10 194:12, 197:16 198:8 GOSSELINK 2:20 government 89:19, 187:22 187:23 graduation 166:21 Granger 134:2 137:22, 138:17 139:10	grant 99:23 150:3 granted 150:14 163:6 graph 51:18 52:17, 52:24 53:2, 53:18, 56:8 56:12, 56:17 72:1, 72:19 80:22, 82:1, 85:4 85:7, 85:8, 85:9 85:11, 86:7 86:12, 86:18 86:25, 90:7 90:20, 91:12 95:12, 98:19 98:25, 98:25 110:18, 110:22 110:24, 110:25 111:3, 111:4 112:17, 114:4 117:21, 117:25 graphed 81:14 83:10 graphic 67:7 93:19 graphically 76:11 graphing 57:10 graphs 56:15 58:17, 71:20 91:7, 91:11 111:10, 112:17 grass 33:2 gratified 126:25 Graves 2:15 10:21 gray 56:23, 58:13 58:14 great 93:25 151:14 greater 174:16 green 53:3, 53:20 53:24, 79:11 82:18, 82:22 85:19, 111:2 112:25, 113:11 Greg 183:15 gross 115:12 ground 37:1, 69:4 196:10 groundwater 1:2 2:12, 6:4, 7:13 7:14, 7:17, 7:18 7:20, 17:4, 17:6	17:9, 17:11 17:13, 19:13 21:24, 22:6, 27:9 35:11, 35:11 35:17, 35:17 37:6, 37:17 46:17, 46:22 88:6, 88:19 90:18, 90:22 91:19, 91:20 92:3, 92:5, 92:10 92:21, 109:4 111:16, 116:6 119:6, 119:6 126:11, 126:12 126:17, 126:20 127:6, 127:11 128:6, 128:8 128:10, 137:24 138:18, 154:6 154:10, 154:11 154:13, 158:14 159:10, 159:16 159:24, 181:15 182:21, 188:17 189:18, 189:19 group 20:21, 21:9 24:5, 44:14 54:23, 56:1 62:16, 88:20 92:19, 120:25 137:10, 160:16 186:2 groups 59:25 157:15, 164:21 178:25 grow 31:17, 31:20 54:14, 54:17 58:20, 59:23 61:4 growing 60:25 108:16 growling 122:1 grown 54:25 171:7 growth 29:7 29:10, 30:5, 31:8 31:9, 31:15 31:22, 32:11 51:8, 51:9, 51:10 51:19, 56:21 59:13, 60:7 60:11, 61:2, 63:6 108:21	Guadalupe 14:4 14:8 Guadalupe-Blanco 14:4 guarantee 44:16 guess 18:13, 19:1 27:6, 85:25 173:13, 202:4 Gulf 114:22 171:16, 171:25 194:1 H habitual 192:18 half 19:2, 115:18 196:21 hand 145:6 146:21, 205:15 handed 12:10 handy 72:20 happen 40:25 49:20, 68:21 69:6, 73:12 84:23, 89:5 89:10, 92:14 happened 87:9 88:1, 89:4, 89:9 90:3, 90:21 92:12, 172:17 happening 69:17 happens 87:5 88:24, 118:3 happy 116:14 136:3, 200:13 hard 117:5 189:22, 198:22 200:17 head 117:7 167:17, 180:19 193:16 headed 60:1 heading 100:25 hear 99:15 121:25, 163:21 heard 38:23 170:9, 176:13 186:1 hearing 1:11 1:18, 9:18, 9:18 10:9, 18:17, 22:4 125:24, 126:2 162:19, 183:4 204:14
---	---	--	--	---

HEARINGS 1:6 Hearon 2:15 10:21 held 15:12 help 56:17, 81:20 99:10, 195:6 helpful 26:20 helping 177:15 hereinbefore 205:7 hereunto 205:14 heroic 93:19 196:5 hesitated 133:15 hey 113:18 HGR 131:12 high 62:14, 62:17 72:19, 151:6 173:12 higher 54:19 56:20, 57:1, 58:7 68:20, 95:11 108:22, 113:12 113:14, 113:14 Highland 5:17 6:11, 15:5, 15:20 33:18, 34:8 61:18, 69:21 71:9, 73:21 73:22, 74:22 75:17, 75:23 75:24, 77:3 77:15, 82:5 82:12, 89:11 90:2, 94:13 95:10, 96:1 96:25, 97:22 97:23, 98:22 99:3, 99:7, 99:10 99:13, 99:18 99:21, 100:15 100:18, 100:20 111:20, 114:18 115:2, 115:22 116:1, 116:9 117:12, 117:14 129:25, 130:5 130:5, 143:22 152:9, 174:3 187:20, 188:11 194:4, 194:14 195:10 highlight 64:16 highly 117:9	120:2 Hill 14:19 historic 146:23 146:24 historical 85:25 94:24, 112:22 144:11, 145:16 145:17 historically 34:19 71:14, 146:11 147:4, 162:12 history 12:25 73:5, 79:13 82:14, 166:21 168:22 hit 94:25, 189:2 Hoffpauir 6:14 96:7, 96:12 96:16, 98:9 Hoffpauir's 96:22 hole 193:23 Honor 11:13, 26:3 26:8, 47:13 47:23, 48:3, 48:4 130:18, 130:22 131:4, 135:20 136:2, 155:17 163:12, 163:23 165:19, 165:25 166:6, 169:11 169:16, 192:1 196:23, 197:2 197:13, 197:20 198:17, 200:25 201:9, 204:10 204:11, 204:12 hope 136:11 hopefully 129:17 horizon 30:11 30:15, 30:20 31:17, 49:2 49:24, 50:6, 54:4 65:16 hour 23:20 180:17 hourly 25:3, 25:9 180:14 hours 95:7, 95:7 House 19:5 Houston 167:8 huge 77:1, 92:5 95:4 hundred 30:22 30:25, 30:25	77:15, 187:3 hundred-year 50:2 hundreds 67:23 72:1, 188:23 Huston 13:14 167:10 Hutto 133:22 133:23 Hwy 7:11 hydroelectric 15:20, 167:18 174:19 hydrologic 68:17 73:20, 83:25 84:23, 170:13 hydrology 98:22 hypothetically 113:23	148:24, 182:4 impacted 72:11 impacts 41:19 42:7, 42:8, 68:23 69:2, 69:10 106:7 implement 16:15 92:4, 116:7 implementation 118:16, 159:10 implemented 115:1 implementing 116:11, 119:1 important 41:14 86:12, 141:14 178:20 importantly 44:6 importation 159:16, 159:17 159:24 imposed 99:1 99:8 impossible 203:23 impression 154:8 183:22 incentive 151:14 incentivized 120:2, 152:18 155:5 include 16:3 139:22, 141:23 169:23, 177:23 179:17, 201:5 included 102:1 102:21, 128:23 130:7, 160:3 160:6, 160:8 168:22, 187:7 193:2 includes 14:3 44:14, 100:16 105:23, 106:5 107:25, 108:6 including 15:5 16:8, 190:5 incomplete 136:10 incorporated 156:20 increase 7:20 45:2, 52:1, 52:10 52:13, 63:25	66:14, 73:11 81:3, 109:18 109:21, 109:25 112:7, 112:10 113:2 increased 172:11 increases 110:6 186:19 increasing 145:10 incremental 50:4 50:18, 50:22 61:7, 63:3, 64:19 64:23, 64:24 65:1, 66:7, 66:13 186:11, 186:18 186:22 increments 174:25, 190:11 incur 108:17 179:4 incurred 45:19 independent 112:1, 113:2 129:14 independently 35:4, 97:9 index 4:1, 5:1, 6:1 7:1, 8:1, 9:1 79:10, 79:16 indicate 51:19 184:5 indicated 11:7 202:2 individual 113:13 135:1, 139:3 164:20, 183:11 individually 84:7 120:24 individuals 24:6 industrial 27:23 56:14, 70:19 194:25 industries 168:7 industry 19:19 20:9, 168:6 infill 62:9 inflation 44:20 inflow 78:5, 94:13 98:20, 98:21 144:12 inflows 6:11, 6:12 69:7, 69:7, 69:9 69:14, 69:16
---	--	---	--	---

69:22, 91:25 92:1, 94:21 95:20, 95:25 98:18, 144:1 144:20 information 28:18 29:4, 29:15 31:13, 32:16 38:22, 52:3 52:17, 54:20 63:11, 73:9 74:10, 76:11 77:5, 81:14 81:15, 83:11 84:11, 84:18 86:13, 87:25 88:10, 88:25 91:3, 92:8, 96:18 100:16, 104:5 106:13, 106:19 107:2, 107:6 114:9, 114:15 117:21, 130:3 132:11, 141:15 154:23, 155:22 156:24, 161:18 161:21, 162:7 164:14, 170:9 176:19, 190:18 initial 45:16 162:24, 200:20 201:1, 201:2 201:6, 201:11 201:14, 204:4 initially 162:25 initiated 90:13 Inks 75:8 innovation 44:3 innovative 44:1 171:4, 172:5 inside 93:8, 93:17 instance 50:17 50:21, 56:23 instructive 117:9 intake 93:10 93:17 intend 26:1 26:22 intended 150:4 158:23 intends 28:1 interacting 180:22 intercept 76:25	interconnected 105:17, 105:17 105:19 interest 25:7 25:13, 79:14 177:15, 184:2 interested 20:21 20:24, 22:23 24:7, 36:23 38:18, 119:24 184:9 interesting 43:7 86:3, 117:5 interim 146:5 intermediary 32:24, 161:7 international 14:20, 167:14 interpret 115:22 interpretation 77:16, 99:6 interpreted 16:11 interrupt 132:16 interrupted 188:6 interruptible 145:22, 145:23 146:6, 146:13 146:17, 146:20 146:24, 147:5 147:10, 147:21 148:5, 148:10 148:21, 148:23 interruption 146:1 intervening 174:17 introduced 197:23 introducing 198:17 introductory 133:14 invest 21:1, 22:16 investing 46:17 investment 45:16 investor 20:21 20:24, 21:6 22:20 investors 21:10 160:17 invited 88:16 involve 21:13 21:16, 21:20 21:23	involved 17:7 17:14, 17:16 18:4, 40:22 160:16, 160:19 177:12, 179:24 180:5 involves 137:19 Involving 137:2 irrigation 15:21 27:23, 56:14 170:25, 171:1 171:8, 171:10 171:11, 194:18 194:20, 195:14 irrigators 148:16 171:24 issuance 107:4 181:7 issue 34:13 70:17, 71:7 107:5, 112:4 170:17 issued 53:12 53:14, 127:15 128:11, 190:14 issues 27:1, 30:6 35:25, 42:5 70:13, 106:17 144:15, 187:19 187:19, 199:14 199:16, 199:22 201:3, 202:7 202:10 items 125:16 125:18, 169:8 Ivie 5:19, 77:12 189:2, 189:3 189:11	169:19, 169:20 174:2, 191:3 191:5, 191:6 191:10, 191:14 192:1, 192:7 192:15, 196:25 197:1, 197:4 201:8, 201:16 201:23, 204:12 joined 167:9 167:16, 170:15 joining 167:24 jointly 171:19 Joseph 3:12 166:1, 166:7 166:12 judge 1:21, 10:7 10:13, 10:19 10:23, 11:2, 11:4 11:6, 11:10 11:16, 11:19 26:6, 26:9, 47:15 47:19, 47:25 48:2, 48:5, 48:10 48:15, 79:22 79:25, 80:4 121:9, 121:12 121:17, 121:20 121:24, 122:2 123:4, 123:9 123:13, 130:21 130:23, 131:5 135:15, 135:18 136:21, 138:8 155:16, 157:4 163:21, 163:24 164:2, 164:5 165:17, 165:20 165:23, 166:2 166:4, 169:14 169:17, 183:13 184:4, 184:18 185:14, 191:5 191:8, 191:12 191:15, 191:18 191:22, 191:25 192:5, 192:8 192:16, 192:20 196:24, 197:3 197:5, 197:7 197:8, 197:11 197:15, 197:21 198:2, 198:5 198:9, 198:12	198:18, 199:6 199:8, 199:12 199:19, 200:3 200:6, 200:12 200:15, 201:1 201:13, 201:17 201:24, 202:9 202:12, 202:16 202:20, 202:25 203:3, 203:6 203:17, 203:21 204:2, 204:13 judgment 176:3 judicial 163:14 July 6:19, 98:23 99:3, 156:19 jump 136:7 jumps 135:5 June 6:4, 6:15 24:4, 24:4, 86:1 86:4, 86:7
K				
K?Mr 164:1 keep 113:16 135:5, 135:7 135:16, 145:10 194:7 keeping 73:6 Kennedy 205:20 Kent 91:21 kept 46:2 Kerrville 18:25 key 102:25 kidding 136:13 KILGORE 2:4 kind 30:23, 32:9 68:9, 75:1, 75:22 77:19, 79:5 80:21, 95:13 121:15, 126:6 126:22, 127:4 143:16, 153:10 153:10, 161:20 175:10, 179:19 190:13 kindly 65:24 kinds 35:8, 67:19 67:23 knew 49:14 know 17:13 18:13, 19:2 21:10, 25:6				

27:20, 28:22 38:24, 39:2 41:13, 42:9 43:20, 44:5, 45:4 46:21, 48:23 49:19, 50:15 50:17, 50:21 54:18, 60:3, 62:2 62:24, 66:15 68:14, 68:14 75:1, 75:3, 78:16 96:8, 96:16 97:24, 109:18 113:18, 124:19 124:22, 125:18 125:23, 125:25 126:18, 128:13 128:14, 134:10 134:13, 134:18 136:13, 138:3 139:2, 143:9 147:2, 148:11 148:15, 150:7 150:18, 152:1 153:16, 154:7 155:13, 157:20 157:21, 157:23 158:11, 158:15 159:22, 159:24 162:5, 163:5 164:10, 164:19 168:25, 176:2 176:2, 177:1 177:3, 181:17 185:21, 193:7 194:12, 195:23 196:6, 197:20 199:16, 199:17 199:22, 199:23 knowledge 126:5 141:22, 143:13 known 186:3 188:25	lake 5:3, 5:15 5:16, 5:21, 5:22 6:3, 6:3, 6:5, 6:7 6:8, 6:11, 15:6 46:18, 69:5, 69:6 69:19, 69:21 69:21, 69:24 70:4, 71:3, 74:21 75:6, 75:7, 75:8 76:17, 76:18 76:19, 76:19 76:22, 76:22 77:25, 82:11 82:12, 83:1, 83:5 83:8, 83:9, 83:18 83:18, 84:2, 84:7 84:7, 85:21 87:18, 87:18 88:1, 89:18 89:21, 90:3, 90:4 90:5, 90:7, 90:17 90:19, 90:21 91:15, 91:17 91:23, 92:1, 92:9 92:20, 92:24 93:1, 93:8, 93:15 93:16, 93:18 95:6, 98:16 118:3, 137:22 138:17, 139:10 143:18, 144:13 144:17, 145:9 145:11, 145:14 146:10, 146:11 148:1, 149:4 149:4, 149:5 151:22, 152:4 174:5, 174:6 174:12, 189:1 194:21, 194:21 lakes 5:12, 5:14 5:17, 6:12, 15:5 15:20, 33:18 34:9, 34:22 61:18, 69:15 69:17, 69:21 70:1, 71:10 71:12, 73:21 73:22, 74:22 74:22, 75:9 75:12, 75:17 75:23, 75:24 76:8, 77:2, 77:3 77:15, 77:18	82:5, 82:12 82:19, 82:23 83:20, 85:2 85:15, 86:5, 86:8 86:16, 87:2, 87:6 89:11, 90:2 93:21, 93:23 94:13, 94:16 95:10, 96:1 96:25, 97:6 97:23, 97:23 98:22, 99:3, 99:7 99:10, 99:13 99:18, 99:21 100:16, 100:18 100:20, 111:20 114:19, 115:2 115:23, 116:1 116:9, 117:13 117:15, 129:25 130:5, 130:6 143:22, 146:2 152:9, 170:16 174:3, 174:17 176:8, 187:20 188:11, 189:4 189:5, 189:6 194:4, 194:15 195:10 Lakeside 114:22 Lamesa 89:22 land 152:16 171:9 landlocked 62:4 landowners 37:1 37:19, 37:22 38:8, 38:10 124:9, 124:10 language 27:14 30:8, 127:20 150:7 large 77:13, 77:13 77:20, 93:9 108:21, 110:5 167:14, 168:9 193:20 large-volume 193:16 larger 14:19 41:13, 75:4 77:24, 187:7 largest 59:8, 60:1 laser 171:8 late 70:25, 87:1	173:18 latest 57:25 Laughter 11:18 120:18, 121:23 136:12, 173:14 191:19, 198:1 law 1:21, 2:9 10:13, 10:17 10:25, 19:10 19:13, 28:22 99:22, 201:7 201:19, 201:22 204:7 laws 150:20 lay 196:7 layer 173:23 LBJ 75:8 LCRA 5:17, 7:23 8:7, 8:10, 14:15 14:25, 15:1, 15:3 15:12, 15:16 15:23, 15:24 16:2, 16:8, 16:18 17:4, 17:20 19:16, 30:18 32:18, 32:20 32:22, 33:7, 33:9 33:12, 33:17 33:20, 34:10 35:7, 36:11 36:22, 38:16 38:18, 40:4 45:18, 45:19 46:3, 46:11 46:16, 46:18 50:1, 84:18 86:13, 89:17 97:7, 97:13 97:15, 97:20 98:2, 99:7, 99:20 100:1, 100:8 100:9, 100:23 101:6, 101:9 111:25, 112:3 112:18, 113:17 113:24, 113:25 114:11, 114:12 114:18, 115:23 116:10, 116:21 116:25, 117:8 118:15, 119:1 119:3, 119:7 119:8, 120:23 141:18, 145:21	146:9, 148:10 148:16, 149:12 153:19, 153:22 154:13, 159:15 159:22, 159:23 160:2, 167:19 167:24, 169:21 169:23, 169:24 170:6, 170:6 170:15, 170:19 172:11, 172:14 172:18, 172:24 173:3, 173:10 173:21, 173:25 174:1, 174:11 174:15, 179:17 182:16, 182:18 183:9, 183:10 183:12, 183:21 187:7, 189:6 189:6, 189:7 193:6, 194:9 194:10, 194:12 LCRA's 8:6, 8:9 8:12, 46:1, 46:6 71:9, 84:15 101:14, 114:25 116:17, 118:5 128:4, 146:1 147:10, 148:13 186:8 LCRA/SAWS 193:1 lead 49:12 Leander 7:6 32:18, 33:20 36:11, 55:5 60:22, 61:9 61:10, 61:11 61:19, 62:15 105:14, 106:9 142:25, 153:5 153:8 Leander's 108:10 108:13, 108:14 learn 38:12 126:25 learned 81:13 lease 37:17 37:21, 39:14 123:25 leases 36:25 37:3, 37:23 38:20, 62:23
L				
L.P 1:4, 3:4, 3:8 L.P.'s 4:3 I04 149:10 label 53:19, 53:20 labeled 58:24 64:12 lack 203:14 laid 169:5				

124:10, 124:14 124:16, 124:18 124:19, 161:22 162:11 leave 173:10 led 60:19 Lee 4:20, 22:7 129:1, 134:15 134:24, 195:25 left 10:14, 13:12 13:17, 14:16 15:22, 18:20 38:17, 60:14 75:7, 75:23, 76:5 76:6, 85:14, 90:6 93:13, 104:19 110:24, 112:21 167:13, 172:22 left-hand 85:4 110:22 legal 36:25 143:15, 157:10 163:3 legally 33:15 143:16 legislation 172:2 Legislature 15:4 19:4 Lein 2:14, 10:20 10:20, 11:9, 26:8 47:17, 48:4 131:1, 134:14 134:23, 136:4 136:7, 136:11 136:17, 169:16 192:16, 192:18 197:24, 204:10 LeinG 164:1 length 49:11 105:15 letter 184:8 letting 139:5 level 31:1, 68:13 69:6, 75:9, 86:16 105:18, 115:16 148:12 leveling 171:9 levels 69:19 69:24, 83:1, 83:5 83:8, 83:9, 84:3 84:7, 90:4, 91:23 96:25, 98:17 149:3, 149:5 levy 193:24	license 12:22 licenses 12:16 life 148:5 light 91:7, 186:7 203:1 likewise 118:25 limitation 187:24 limited 120:12 199:14 Limmer 38:16 38:25, 39:1 line 52:12, 53:3 53:3, 53:10 53:19, 53:20 53:24, 54:12 56:23, 56:24 58:13, 58:14 58:14, 58:15 63:10, 76:4, 77:7 77:8, 81:21 82:19, 82:21 82:21, 82:22 85:11, 85:13 85:15, 85:16 85:19, 85:22 85:25, 86:20 94:12, 94:17 95:6, 95:13 95:14, 95:21 96:21, 96:24 98:19, 105:25 107:14, 109:14 110:24, 111:1 112:17, 112:24 112:25, 113:10 113:11, 113:11 138:15, 175:7 linear 112:22 lines 29:23, 51:18 53:3, 53:5, 53:7 53:8, 85:17 95:21, 111:14 links 163:17 list 12:25, 125:16 140:1 listed 60:17 169:8 listened 176:1 literal 64:6, 92:17 literally 162:5 little 49:3, 50:10 57:18, 62:9 67:21, 70:7 70:14, 78:5, 85:5	85:13, 86:2, 86:3 86:6, 86:9, 86:10 87:4, 108:9 108:11, 108:11 111:3, 131:11 135:4, 142:11 143:21, 150:17 152:15, 174:3 188:25, 189:13 198:6 littler 144:25 LLOYD 2:20 Lloyd-Gosselink 10:17 LLP 2:4 load 167:7 loaded 150:25 located 14:7 195:25 locating 168:11 Lochridge 2:4 11:1 locked 152:16 long 19:22, 39:11 49:5, 73:5, 73:7 105:7, 105:9 115:23, 142:8 178:2, 178:6 189:5, 196:3 long-term 17:18 31:5, 36:16 37:14, 39:19 40:14, 41:16 45:8, 46:6, 128:4 138:17, 172:4 174:7, 174:15 187:1, 187:4 187:13, 188:2 longer 40:3, 49:5 49:8, 90:18 longstanding 102:7 look 12:24, 16:12 28:17, 35:13 35:15, 39:12 46:17, 50:9 50:11, 51:17 52:1, 52:13 53:19, 53:23 54:5, 54:9, 55:4 56:3, 56:10 56:21, 57:2, 58:9 58:12, 60:5, 61:1 61:7, 62:1, 62:7	63:3, 63:19, 64:7 65:5, 65:23, 66:6 66:11, 66:25 67:10, 72:3 72:14, 72:20 72:22, 74:9, 75:1 76:7, 77:4, 77:5 77:5, 77:22 77:23, 78:13 78:20, 78:24 78:25, 79:15 80:18, 81:1 81:25, 83:10 83:12, 83:12 84:5, 84:14 85:12, 85:24 85:24, 86:5 86:20, 87:11 90:6, 91:11 91:13, 93:11 94:6, 94:10 95:12, 98:12 98:18, 100:13 100:21, 103:11 103:13, 103:17 103:25, 104:1 104:22, 104:24 106:9, 107:8 107:17, 107:19 108:1, 109:13 110:12, 110:18 111:6, 112:12 112:15, 114:17 117:20, 118:1 119:24, 125:11 128:5, 129:16 130:15, 131:10 131:21, 132:7 132:25, 133:21 134:4, 134:6 135:3, 137:17 137:21, 137:23 138:5, 138:14 139:6, 139:9 140:8, 140:17 141:25, 142:4 144:11, 154:1 154:9, 155:4 155:5, 155:6 156:16, 156:17 163:19, 164:9 165:4, 165:10 169:6, 170:14 170:23, 186:25	187:2 looked 29:17 29:19, 32:16 42:19, 59:6 59:21, 61:9 61:16, 72:25 76:5, 79:1, 79:4 82:25, 97:9 102:21, 103:7 104:4, 105:12 105:23, 108:14 115:17, 116:10 130:8, 132:11 164:18, 164:22 165:13, 171:10 171:14, 179:11 186:10, 187:11 187:12, 189:17 looking 32:16 41:15, 50:3, 79:6 80:10, 81:16 93:5, 93:8, 99:2 103:24, 119:4 125:20, 127:6 132:5, 140:18 170:4, 187:1 looks 15:11, 67:3 86:1, 92:24 lose 35:23 loss 35:25 144:16 lost 1:2, 2:12 10:22, 40:19 40:20, 46:20 119:13, 128:10 146:25, 159:18 lot 22:7, 40:15 40:16, 66:4, 70:1 70:15, 81:18 88:10, 107:5 108:17, 116:20 120:10, 144:17 155:4, 164:11 177:3, 195:23 199:13, 199:15 202:2 Lou 1:22, 205:4 205:18 love 129:11 low 76:2, 76:20 97:24, 154:10 173:13, 193:16 lower 14:25 56:16, 58:17
--	---	--	---	---

72:4, 75:6, 76:8 98:12, 112:21 148:2, 156:17 165:8, 167:16 171:23, 195:3 lowest 86:21 86:21, 91:25 93:18 lows 173:16 LP 4:2, 5:2, 6:2 7:2, 8:2, 10:10 LPGCD 9:2 lunch 121:18 122:3, 122:4	130:24, 131:6 164:10 managing 13:23 manner 25:14 32:7 Manville 134:6 134:8, 134:9 map 5:3, 8:16 72:7, 72:25 78:18, 87:19 Marble 75:8 March 23:2, 23:6 73:23, 83:21 84:2, 94:18 margin 85:14 marked 4:2, 5:2 6:2, 7:2, 8:2, 9:2 10:5, 10:6, 185:3 market 23:18 153:7, 179:13 179:16, 180:20 185:18 marketability 176:23 marketable 177:1 177:7 marketing 183:3 190:14 marking 190:20 massive 55:24 95:8, 171:19 171:24 match 129:17 matches 39:24 math 114:20 matter 1:18 59:20, 100:8 181:14, 205:6 matters 25:20 26:4, 169:12 mature 157:22 maximum 5:7 115:4, 139:13 MBA 12:19 166:17 McGinnis 2:4 11:1 mean 16:10, 23:9 30:2, 38:7, 40:11 65:11, 69:12 73:9, 78:1, 86:2 89:9, 91:7, 102:5 126:8, 132:2 137:7, 143:4	151:3, 151:19 161:1, 161:2 161:15, 192:6 198:3, 199:17 199:23, 201:9 means 27:18 61:5, 67:11 67:14, 69:22 72:10, 108:17 115:2, 152:21 measure 68:6 measured 85:16 measuring 68:2 medium 84:24 meet 8:13, 70:10 70:15, 113:18 129:12, 129:20 133:12, 162:1 174:4, 174:25 177:8, 188:17 190:7 meeting 8:6 70:13, 185:8 185:18, 203:11 203:18, 203:19 203:24 Melvin 2:14, 3:10 3:11, 3:13, 10:20 121:15, 121:18 121:21, 123:10 123:12, 123:20 124:1, 124:3 124:5, 124:7 130:18, 131:1 131:8, 135:19 135:23, 136:2 136:8, 136:23 136:24, 136:25 138:10, 138:14 146:21, 146:23 155:14, 156:10 162:20, 163:12 164:4, 164:7 165:15, 191:17 191:20, 191:23 192:19, 192:20 192:22, 192:24 196:22, 197:19 197:22, 198:3 198:8, 198:14 198:16, 199:4 199:7, 199:9 199:18, 199:24 200:4, 200:9	200:13, 200:24 202:2, 203:10 203:13, 203:19 203:23 member 91:13 members 85:2 memory 126:15 132:6, 153:25 mentioned 33:5 33:10, 42:12 76:18, 123:23 126:4, 143:9 169:22, 195:17 mercy 111:24 mere 12:5 Meredith 6:3, 6:5 6:5, 77:25, 87:18 87:19, 88:1 89:18, 89:21 90:4, 90:5, 90:7 90:17, 90:19 90:21, 91:15 91:17, 92:1, 92:9 92:21, 93:1 Merits 9:18 Mesa 92:6 messed 135:22 Meszaros 183:16 met 39:4, 86:14 117:12 method 43:23 43:25, 84:22 84:25, 84:25 methodology 104:6, 104:13 146:14 methods 67:12 171:4 mgershon@lgla... 2:22 Michael 1:20 2:20, 10:12 mid 70:25, 70:25 mid-size 13:14 middle 52:21 53:1, 75:2, 76:4 77:24, 90:6 93:10, 96:10 100:18, 100:21 107:17, 107:18 107:20, 117:10 Midland/Odessa 189:15 Mike 10:16, 12:4	miles 77:15 89:22, 105:7 105:9, 105:13 116:5, 188:23 million 82:20 85:6, 94:20 95:16 millions 108:19 mimics 97:2 mine 135:5, 135:7 135:20 minimal 178:17 179:9 minimis 33:1 minimum 31:5 49:10, 54:3 99:23 mining 27:23 56:14 minor 35:25 minute 41:11 97:10, 140:17 162:16 minutes 121:16 miracle 85:17 misunderstand 120:15 misunderstood 125:4 mitigate 42:8 mitigation 41:23 44:7, 126:4 126:13, 126:23 127:1 mix 107:10 mixed 113:5 Modeling 6:13 moisture 68:6 moistures 68:6 moment 145:4 Monday 161:13 162:5 Monitor 4:23 monitoring 68:16 month 24:24 85:10 monthly 144:21 144:22, 145:1 months 20:16 78:6, 86:25 90:10, 94:19 101:23, 102:1 162:7 Moody 2:15
M				
ma'am 129:8 136:1, 137:4 193:4 main 13:9, 95:5 148:13 maintained 75:11 maintains 54:3 maintenance 106:2 major 6:6, 46:21 54:21, 54:21 74:13, 116:4 151:23, 178:24 188:1, 189:10 193:14, 196:8 making 21:17 147:15, 148:20 manage 15:4 15:9, 108:21 management 13:23, 14:23 16:6, 20:2 100:24, 101:7 137:1, 137:6 137:18, 139:18 140:5, 141:23 142:1, 142:6 166:18 manager 2:13 9:2, 10:22, 15:17 30:19, 91:22 121:13, 158:17 167:19, 167:20 171:17, 172:14 173:11, 183:9 183:16, 198:14 Manager's 130:14				

10:21 MoPac 205:21 morning 10:7 move 11:10 47:24 moved 14:25 15:11, 23:11 46:11, 159:13 moves 47:14 moving 77:7 77:8, 118:23 Municipal 4:9 multiple 159:13 194:25, 196:13 Muni 9:9 municipal 4:14 9:6, 27:23, 28:5 28:7, 28:9, 31:4 32:17, 56:14 57:11, 58:11 58:17, 58:22 59:17, 63:16 63:19, 64:7 64:13, 64:18 64:18, 65:6 70:18, 71:8 89:14, 93:24 99:24, 131:19 132:19, 147:25 165:6, 166:18 189:3 municipalities 33:11, 168:5 Municipal 4:14 mush 174:16	28:20, 30:24 39:18, 48:21 48:23, 49:12 49:15, 50:11 50:18, 57:8, 60:3 63:3, 64:7, 64:22 64:23, 64:24 65:1, 113:24 118:19, 136:16 140:25, 141:8 141:13, 154:24 155:4, 158:12 162:1, 170:6 172:13, 174:4 179:12, 181:10 182:16, 183:18 183:22, 184:5 186:17, 187:12 188:17, 198:6 needed 43:24 50:23, 106:19 161:24, 168:16 173:4, 193:15 needs 65:12 70:16, 140:13 140:13, 140:21 140:21, 170:3 172:23, 173:10 negative 102:4 negotiate 16:18 negotiating 17:7 17:17, 190:14 negotiation 17:3 43:2 negotiations 20:4 41:4, 43:4, 161:6 net 70:17, 70:18 112:14, 113:6 never 20:23 40:21, 68:14 68:14, 101:11 140:1, 147:22 new 35:14, 58:4 137:2, 155:4 157:3, 160:17 160:17 niceties 163:3 nine 14:21 non-drought 79:11 nonsubstantive 202:23 normal 65:16 119:14	normally 201:15 north 59:9 northern 87:22 northwest 75:16 75:19, 76:17 Nos 10:4, 10:6 47:21, 131:7 note 48:9, 48:10 82:24, 192:18 notebooks 197:9 notes 83:19 192:17, 205:13 notice 125:23 125:25, 163:14 163:15, 163:15 163:25, 164:3 noticed 135:13 136:16 noticing 57:19 notify 172:20 November 1:12 1:17, 3:3, 10:2 10:8, 123:2 203:9, 203:20 205:15 nr 6:3, 6:9 nuclear 193:20 195:1 number 9:18 52:9, 52:14, 55:5 64:8, 66:8, 66:9 66:12, 71:1 72:19, 72:23 78:6, 101:4 101:11, 104:18 105:22, 108:4 108:20, 110:7 117:23, 120:20 131:11, 131:15 144:14, 154:19 154:20, 164:25 170:21, 171:22 193:2, 194:15 195:2 numbered 63:20 131:9, 138:12 numbering 131:25 numbers 8:17 51:20, 52:7, 52:8 56:17, 56:19 58:7, 58:25 59:23, 61:12 64:4, 64:9, 64:11	66:7, 72:16 98:13, 98:14 107:9, 112:22 115:22, 133:17 134:5, 135:4 136:5, 144:6 157:2, 157:6 157:12, 157:13 157:16, 157:16 157:25, 158:1 165:1, 165:10 165:14	200:3, 200:6 200:12, 200:15 201:1, 201:13 201:17, 201:24 202:9, 202:12 202:16, 202:20 202:25, 203:3 203:6, 203:17 203:21, 204:2 204:13 O.H 5:19 Oak/Savannah 127:15 oath 80:7, 123:7 object 136:9 objection 47:17 47:18, 48:12 131:4, 163:21 191:24 objections 26:6 42:7, 47:16, 48:2 130:21, 169:15 191:16 objects 93:14 obligates 186:15 obtain 12:22 28:22, 32:1 39:18, 49:6, 91:3 158:13 obtained 46:25 47:3, 81:14 84:15, 93:4 119:12, 128:9 128:10, 166:16 172:2, 196:12 obtains 162:23 obviously 46:1 61:15, 98:20 130:5, 199:19 201:5, 203:22 occasion 168:11 occur 121:5 152:22 occurred 23:11 84:4, 86:10, 95:9 170:11, 180:9 205:6 occurs 77:1 100:5 October 8:12 85:10, 85:12 86:20, 116:18 odd 64:2 off-channel 35:13
O				
O&M 44:21, 45:1 O'Malley 1:20 10:7, 10:12 10:19, 10:23 11:2, 11:4, 11:6 11:10, 11:16 11:19, 26:6, 26:9 47:15, 47:19 47:25, 48:2, 48:5 48:10, 48:15 79:22, 79:25 80:4, 121:9 121:12, 121:17 121:20, 121:24 122:2, 123:4 123:9, 123:13 130:21, 130:23 131:5, 135:15 135:18, 136:21 138:8, 155:16 163:21, 163:24 164:2, 164:5 165:17, 165:20 165:23, 166:2 166:4, 169:14 169:17, 191:5 191:8, 191:12 191:15, 191:18 191:22, 191:25 192:5, 192:8 192:16, 192:20 196:24, 197:3 197:5, 197:8 197:11, 197:15 197:21, 198:2 198:5, 198:9 198:12, 198:18 199:6, 199:8 199:12, 199:19				
N				
name 10:12 11:25, 126:22 127:13, 127:14 166:11, 166:12 national 14:19 167:14 nationwide 13:15 Natural 19:6 nature 13:6 13:19, 15:13 16:3, 18:10 170:10 near 187:9 necessary 36:15 need 4:4, 23:16 27:3, 28:19				

46:12, 116:4 118:14, 118:17 171:22, 193:6 193:8, 193:17 193:21, 194:12 194:24, 195:5 195:12 off-channels 193:2 off-handle 193:11 off-store 194:23 offer 24:12, 25:7 25:13, 37:2 120:1, 130:19 131:2, 131:2 157:16 offered 23:25 191:10 OFFICE 1:4 officer 16:8 16:10, 24:18 offices 13:15 official 7:15 106:16, 106:25 107:13, 163:14 163:15, 163:25 164:3 Oh 38:9, 121:20 132:23, 143:6 174:5, 191:6 194:11 okay 11:6, 21:12 22:25, 25:7 25:25, 26:9 26:23, 47:15 47:25, 48:10 48:20, 48:21 48:23, 48:25 52:17, 55:9 55:17, 56:7 56:18, 57:2 57:10, 59:3 59:12, 60:21 62:19, 64:14 66:16, 66:25 71:23, 73:17 78:18, 78:25 79:19, 79:21 81:13, 82:8 82:10, 87:11 87:17, 87:25 88:4, 88:9, 88:11 89:3, 90:24, 91:6 91:8, 93:1, 94:8	102:9, 102:17 102:20, 102:25 103:4, 103:13 104:12, 104:18 105:23, 106:9 106:13, 107:14 108:23, 109:2 109:6, 109:8 109:11, 110:12 112:6, 112:12 113:16, 114:4 114:7, 116:14 116:16, 117:2 117:20, 118:25 121:21, 123:4 123:13, 127:19 130:23, 131:1 131:5, 133:8 134:7, 135:9 136:23, 138:7 138:13, 140:12 140:20, 142:17 143:21, 146:25 152:11, 153:12 160:5, 163:24 164:2, 165:5 166:2, 180:4 191:5, 191:15 191:22, 191:25 192:8, 192:21 197:5, 197:15 197:21, 198:2 198:9, 198:18 199:8, 200:3 200:4, 200:6 200:12, 200:15 202:9, 202:12 202:12, 202:16 202:25, 203:3 204:13 old 85:9, 85:10 151:24, 173:20 195:1 on-going 182:11 once 20:25, 22:19 49:11, 68:13 97:20, 126:17 137:8, 151:7 157:14, 179:24 185:17, 190:13 196:11 ones 54:5, 57:6 98:11, 124:20 151:24, 201:25	ongoing 6:17 34:12, 34:16 46:8, 53:16 Op 1:4, 3:4, 3:8 4:2, 4:3, 5:2, 6:2 7:2, 7:23, 8:2 10:4, 10:10 11:11, 11:13 20:11, 20:13 20:19, 20:22 21:6, 21:14 21:17, 21:21 22:17, 23:4, 23:5 23:10, 23:11 23:20, 24:14 24:19, 25:12 26:3, 26:17, 28:1 32:13, 36:6 37:19, 38:5 38:12, 39:3, 39:4 41:18, 43:17 43:21, 46:24 47:3, 47:13 47:21, 48:5, 48:7 48:9, 48:11 57:11, 62:20 65:9, 65:11, 66:2 88:22, 102:12 103:25, 104:7 104:13, 105:1 106:6, 113:9 113:15, 113:21 119:5, 123:24 124:9, 126:5 141:12, 149:11 150:14, 154:3 154:16, 159:11 160:6, 160:18 161:5, 161:12 162:23, 162:24 177:11, 177:12 177:17, 178:4 179:25, 180:5 180:9, 180:12 180:19, 183:3 183:17, 192:11 192:13, 195:25 197:11, 198:24 202:13 Op's 12:10, 31:21 38:2, 40:6, 40:19 47:19, 62:21 66:9, 109:4 111:16, 112:8	113:1, 191:16 202:5 opening 11:7 operate 15:6 145:2, 170:1 operating 1:5 10:11, 125:20 181:16, 181:20 operation 33:2 49:8, 106:2 137:22 operations 70:11 147:20, 148:13 opined 33:25 36:3, 36:6, 36:15 46:23 opinion 28:1 30:10, 30:13 30:25, 31:8 31:21, 31:24 34:5, 34:17, 39:5 39:8, 47:2, 47:5 49:4, 50:5, 63:2 65:11, 66:1, 66:8 66:21, 71:15 71:18, 94:2, 98:5 101:25, 103:21 106:23, 106:24 109:24, 118:9 119:18, 119:22 120:4, 120:6 120:7, 120:19 141:4, 141:6 141:7, 149:11 174:1, 190:24 opinions 26:1 26:22, 34:4 42:16, 47:8 48:17, 48:19 89:1, 116:20 116:24, 155:23 169:8 opportunity 124:25, 125:23 125:24, 177:16 179:12, 194:6 opposed 45:24 139:19, 203:5 opposite 81:23 option 17:11 37:20, 123:24 124:8, 124:21 139:10, 155:11 options 37:24	124:13, 124:17 oral 179:20 179:22 orange 67:13 75:25, 77:8 94:17, 95:12 95:21 order 22:2, 31:7 50:12, 109:17 119:13, 135:18 151:21, 158:13 162:1, 188:7 organization 16:13, 24:21 88:17 original 7:11 205:13 outfit 42:20 outlet 93:18 outlined 25:21 outlook 173:21 outside 20:10 23:23, 24:1 24:14, 25:8 overcommitted 116:10 overhead 112:2 overlaps 164:23 overlay 7:23 overstates 110:4 overview 26:22 owned 89:17 92:4, 93:23 owner 68:11 owners 71:8, 71:9 77:6 ownership 44:11 owns 33:16 46:18
P				
p.m 80:3, 122:7 122:7, 123:3 198:11, 198:11 204:15 page 3:2, 8:10 8:12, 12:24, 53:1 56:3, 64:13, 74:9 80:25, 87:17 90:6, 91:10 98:12, 98:14 98:15, 98:15 98:15, 98:24				

114:10, 117:4 117:10, 117:22 118:9, 118:17 118:25, 130:1 131:10, 131:12 131:13, 131:14 131:17, 131:24 132:17, 132:25 135:3, 135:25 136:15, 136:25 137:3, 137:22 137:23, 138:5 138:11, 139:5 139:6, 140:9 140:17, 141:25 pages 8:5, 90:25 97:11, 98:8 118:8, 131:21 135:13, 156:18 158:20, 159:1 159:2, 205:11 paid 22:14, 23:4 44:19, 45:17 Palmer 79:10 Panhandle 75:21 77:20, 77:22 77:24, 87:21 89:5, 89:10 188:15 paper 164:11 paragraph 117:10 117:16, 125:15 133:14, 169:5 169:9 Paragraphs 25:22, 26:5 169:13 parceling 134:25 Park 7:4, 32:18 33:19, 36:10 55:5, 60:22 61:10, 61:18 62:1, 62:4, 62:10 62:15, 105:10 105:13, 106:10 142:22, 152:12 152:15, 152:18 153:1, 153:5 153:8, 155:3 Park's 108:9 parks 15:9 part 13:23, 14:7 18:5, 22:22, 24:8 33:12, 33:16	39:21, 47:11 61:6, 99:15 112:16, 117:11 117:16, 131:24 138:24, 138:25 148:18, 153:3 157:7, 160:20 171:23, 186:10 188:19 partial 72:13 partially 95:5 163:6 participant 20:25 participants 61:19, 65:18 108:18 participate 17:3 17:11, 168:19 177:16 participated 49:23 participating 14:22, 20:18 22:23, 152:23 participation 25:5 participatory 24:7 particular 28:20 36:7, 44:2, 55:1 89:6, 103:6 117:24, 161:10 193:15 particularly 16:19 19:16, 82:5, 93:1 182:12, 188:15 parties 10:14 11:7, 43:15, 44:7 44:17, 44:25 45:4, 204:3 204:8 partners 24:5 24:5, 39:2, 39:3 180:23 partnership 143:14, 143:16 partnerships 103:18 parts 189:24 199:19 pass 121:7 173:15 pass-through 44:22 passed 115:23 path 161:20	patiently 176:1 pattern 147:11 147:22, 147:25 148:3, 158:3 Paul 3:5, 3:9 11:14, 11:21 12:2, 18:1 123:16 pay 31:7, 39:25 41:19, 44:8 44:21, 44:25 106:6, 109:17 110:1, 126:10 126:14, 126:23 151:10, 151:12 153:16, 153:21 153:23 paying 106:11 106:15, 108:20 112:2 payment 23:3 44:16, 151:8 pays 108:8 PC 2:20 PDSI 5:4, 79:10 peach 75:14 peach-colored 75:4 Pecan 1:19 Pedernales 95:4 pending 40:19 195:19 people 18:3 36:22, 68:1, 73:6 79:25, 83:22 95:2, 115:25 134:18, 162:12 173:24, 174:20 177:1 per-thousand-ga... 113:4 per-year 112:25 perceived 72:12 percent 24:7 25:5, 33:14 51:23, 60:13 62:4, 72:11 72:16, 72:23 73:1, 75:14 75:15, 76:6 77:11, 77:13 78:2, 78:2, 78:7 90:10, 91:20 92:10, 101:10	107:25, 108:8 109:17, 109:21 110:2, 110:7 112:10, 112:11 115:19, 147:22 147:24, 153:24 154:11, 189:12 190:24 percentage 7:19 59:13, 60:11 percentages 102:4 perfect 162:3 perfectly 107:1 perform 13:9 13:11, 15:8, 18:2 20:17, 23:16 109:2 performed 16:12 33:24 performing 14:21 period 22:12 22:13, 23:7, 27:4 27:4, 27:8, 27:8 27:10, 28:15 28:21, 28:25 39:12, 39:15 49:15, 50:4, 50:5 50:19, 50:23 51:25, 52:6 59:22, 60:4 60:11, 63:4 64:19, 72:8, 78:4 79:15, 81:22 81:24, 82:25 83:3, 84:9, 92:7 94:14, 101:1 101:9, 120:5 120:8, 120:11 144:8, 145:2 145:5, 145:6 145:7, 146:12 146:23, 146:24 181:23, 196:21 periods 28:19 57:24, 94:16 Permian 189:15 permission 36:25 permit 13:10 18:16, 28:22 40:5, 40:11 40:12, 40:22 41:1, 41:11 65:12, 66:12	66:15, 125:20 127:16, 127:20 158:14, 162:1 162:17, 162:19 162:23, 162:24 162:25, 163:6 163:8, 181:6 181:16, 181:20 182:23, 184:1 190:13 permittees 126:14 permits 1:5, 1:6 10:11, 10:11 23:18, 32:2, 37:5 38:21, 40:19 46:20, 46:24 47:3, 49:6, 61:14 62:23, 70:12 71:8, 99:23 116:6, 119:12 125:10, 127:9 127:14, 127:22 127:24, 128:1 128:11, 150:14 161:23, 162:9 permitted 74:18 154:23, 181:22 185:17, 185:22 permittees 126:23 permitting 19:23 37:6, 40:14 40:18, 147:9 175:17 person 180:22 personally 13:21 95:18 perspective 42:1 62:5, 76:2, 76:15 117:19 pertinent 68:10 phase 151:25 phenomena 86:3 phenomenon 108:20 Phil 183:8, 183:25 Photo 6:5 physical 33:17 35:15, 44:9 112:3, 114:2 physically 44:10 150:20, 152:8 pick 201:24 picked 107:11
---	---	--	---	---

Pickens 92:5 picks 110:15 picture 69:3 92:23, 93:4, 93:6 93:25 piece 141:14 piecemeal 39:12 Pierce 17:12 114:22, 170:25 Pines 1:2, 2:12 10:22, 40:20 46:20, 119:13 128:10, 159:18 pipe 105:15 187:8, 189:21 pipeline 45:23 50:25, 89:20 105:7, 105:8 105:24, 151:13 182:8, 195:24 196:14, 196:20 pipelines 44:12 45:12, 93:14 150:21, 168:9 pipng 188:22 place 37:23 37:24, 38:9 40:14, 106:25 114:3, 128:1 141:10, 141:17 150:21, 156:11 156:20, 194:1 196:1, 196:2 placed 65:21 plan 4:8, 8:11 8:12, 9:3, 9:5, 9:6 9:8, 30:23, 30:24 39:16, 53:12 53:13, 54:2 100:24, 101:7 115:12, 116:17 116:24, 119:9 130:10, 130:17 131:9, 132:2 132:6, 134:15 134:25, 137:3 137:6, 140:15 140:16, 140:23 141:9, 156:13 156:14, 156:19 156:21, 158:9 158:13, 158:19 159:23, 159:24 160:1, 160:7	160:9, 160:25 161:7, 161:9 165:6, 172:6 185:18 planing 168:19 planners 92:11 planning 4:12 6:15, 19:22, 29:3 30:11, 30:18 30:20, 31:5 31:17, 49:2 49:16, 49:18 49:24, 50:6 50:13, 50:16 53:11, 54:1, 54:3 54:24, 57:21 57:24, 59:22 63:4, 65:16 65:18, 92:2 92:19, 92:19 96:11, 118:17 130:16, 137:10 155:1, 157:6 157:15, 164:19 164:21, 164:24 168:14, 169:24 175:21 plans 16:15 73:10, 139:18 139:22, 141:10 155:22, 155:22 156:2, 156:10 156:15, 156:25 157:1, 158:3 158:18, 158:25 159:3, 159:5 159:8, 159:9 159:11, 159:19 159:25, 163:16 163:25, 164:1 168:20 plant 16:17, 46:19 121:2, 143:17 143:20, 151:20 152:1, 152:3 152:3, 152:24 155:8, 189:21 193:20, 195:1 195:1 plants 45:12 151:23, 152:5 168:8 Plateau 78:21 please 11:16	11:25, 12:9, 50:8 97:12, 125:4 128:18, 131:22 140:20, 166:4 166:11 pleased 46:11 PLLC 2:9, 10:25 plot 5:17, 6:3 6:10, 74:15 plus 22:14, 59:2 65:21, 99:21 PMB 2:9 point 23:17 62:25, 79:14 86:17, 86:19 93:18, 95:22 105:12, 110:2 119:7, 145:11 161:16, 167:11 167:21, 168:25 173:21, 193:16 points 134:14 political 172:6 182:15 pond 193:19 population 4:5 4:6, 29:6, 29:7 29:12, 31:8 31:18, 31:19 32:10, 51:8 51:10, 51:15 51:22, 51:24 52:3, 52:13 53:15, 54:21 54:25, 55:10 56:19, 157:2 populations 53:22, 54:14 164:14 portfolio 137:9 171:1 portion 8:14 152:23, 175:4 175:6 portions 4:7 167:18 position 24:17 183:1, 202:24 positions 15:12 possibility 121:4 possible 46:23 150:20, 194:16 Post 127:15 posted 43:3	potential 7:12 7:13, 21:13 29:21, 32:5 32:12, 32:19 33:10, 36:4 36:16, 41:19 43:20, 55:2 60:16, 60:23 62:16, 74:24 76:24, 102:13 106:6, 112:5 126:10, 129:24 132:14, 161:11 162:9, 176:9 178:8, 180:23 183:4, 185:24 potentially 113:17, 113:20 power 16:17, 28:8 46:19 practice 99:23 pre-commitment 106:6 precipitation 5:6 5:9, 67:25, 68:1 68:20, 68:22 80:16, 80:23 81:8, 81:19 precipitously 83:2 precise 157:21 predecessor 13:8 71:6, 160:8 160:14, 161:1 predefining 44:25 45:1 predicted 85:19 predicting 84:22 predominant 17:1 prefiled 200:16 preparation 93:6 prepare 26:11 26:16, 47:10 71:19, 87:25 88:12, 88:21 96:5, 102:11 114:4, 179:19 prepared 41:23 47:11, 54:20 66:20, 78:9 88:14, 88:20 89:6, 94:1, 94:19 96:7, 164:13 168:20	prerequisites 36:15, 36:19 37:13, 162:2 present 80:20 81:1, 81:24 201:10, 202:5 presentation 3:4 3:8, 6:4, 11:20 88:7, 88:12 96:15, 96:22 123:14, 162:3 179:20, 179:22 presented 88:20 92:8, 129:19 202:14 presenting 84:12 president 167:22 presiding 10:13 press 85:1, 101:5 pressure 182:15 pretty 42:3, 62:7 79:8, 79:13 81:19, 82:1, 83:2 83:4, 94:24 95:15, 102:24 105:21, 118:16 152:16, 153:25 157:22, 171:4 previous 57:17 59:6, 76:12 140:17, 167:5 170:9 previously 25:4 54:17, 72:25 101:10, 116:12 123:17 price 37:8, 62:24 63:1, 104:21 110:17, 161:23 161:24, 162:11 181:11, 182:2 price-per-thousa... 103:12 priced 155:3 prices 45:2 primarily 34:15 106:24, 171:7 174:19, 179:22 primary 39:22 70:17, 74:23 105:6, 137:10 prime 193:19 principal 180:22 printed 74:10
--	--	--	--	---

<p>75:1</p> <p>prior 19:15, 51:4 54:12, 54:19 72:1, 72:7, 94:21 131:21, 165:11 167:24, 172:14 183:4</p> <p>private 13:17 13:22, 38:8 103:19</p> <p>probability 46:9 62:14, 151:6</p> <p>probably 18:12 19:1, 62:17, 97:6 103:1, 110:18 134:24, 144:10 150:17, 155:12 182:20, 196:13 196:13, 196:19 197:16, 198:5 200:9, 200:10 202:16, 202:20</p> <p>problem 27:17 34:22, 50:11 136:14, 194:13</p> <p>proceed 172:19</p> <p>proceeding 18:23 27:1, 35:11, 38:1 42:10, 154:9</p> <p>proceedings 1:22 3:3, 3:14, 14:13 18:9, 204:15 205:8</p> <p>process 40:18 41:3, 43:2, 50:13 50:16, 53:11 54:1, 54:24 65:18, 103:21 124:24, 125:1 156:22, 157:9 157:10, 157:11 157:17, 157:21 162:10, 162:17 162:18, 163:2 168:15</p> <p>processes 168:19</p> <p>processing 49:16</p> <p>produce 112:20 195:20</p> <p>product 178:9</p> <p>production 46:23</p> <p>productions 55:11</p>	<p>professional 12:20, 173:4</p> <p>project 6:19, 6:20 14:3, 20:1, 20:11 20:14, 20:19 20:22, 21:1, 21:5 22:17, 22:19 22:22, 22:24 23:10, 24:8, 25:8 26:18, 31:7 31:22, 31:22 31:25, 32:1, 32:9 32:13, 35:15 38:6, 38:13 38:17, 38:23 39:19, 39:20 40:6, 43:11 43:11, 43:17 43:22, 44:16 45:25, 46:22 49:11, 49:14 57:20, 61:5 62:19, 62:20 62:21, 65:19 88:22, 92:4 103:9, 103:20 104:1, 104:7 104:13, 105:8 107:20, 108:18 108:21, 109:17 110:8, 111:12 111:25, 112:2 119:8, 126:17 127:4, 131:20 139:11, 141:12 151:1, 154:17 159:11, 160:6 160:8, 160:14 160:17, 160:23 160:24, 161:1 161:2, 167:7 171:18, 171:21 172:3, 172:9 172:17, 172:19 172:21, 172:23 172:24, 173:8 175:10, 176:18 176:23, 177:11 177:13, 177:17 177:24, 178:5 178:13, 180:1 180:6, 180:20 181:15, 183:3 185:17, 185:19</p>	<p>186:13, 186:14 187:6, 187:7 187:9, 190:7 190:15, 190:20 193:1, 195:13 196:14</p> <p>projected 7:20 8:9, 8:14, 29:6 29:9, 32:11 51:24, 52:13 57:22, 61:3 89:12, 98:18 109:9, 109:21 112:23, 117:12 118:7, 118:12 128:20, 131:18 131:19, 132:3 132:18, 133:24 174:9</p> <p>projecting 58:17</p> <p>projection 9:7 58:4, 86:22 112:18, 112:19</p> <p>projections 4:5 4:6, 4:9, 4:12 4:18, 4:20, 9:10 31:15, 41:22 51:8, 51:15, 52:3 52:5, 52:22, 53:4 53:6, 53:10 53:15, 54:13 54:16, 55:10 56:25, 57:19 57:21, 58:8 58:15, 63:23 112:6, 157:13 165:7</p> <p>projects 13:22 14:22, 18:4 34:23, 35:2, 49:6 117:24, 119:4 129:8, 141:11 154:25, 154:25 158:12, 159:12 159:20, 167:23 168:1, 168:4 168:6, 168:8 190:10</p> <p>promoted 15:16</p> <p>prompted 165:11</p> <p>proper 127:1 127:1</p> <p>property 17:12 38:11, 46:18</p>	<p>proposal 126:4 203:14</p> <p>propose 140:2</p> <p>proposed 117:24 150:3, 157:4 159:21, 200:22 201:10</p> <p>proposing 105:5</p> <p>protect 188:7</p> <p>protesting 202:7</p> <p>provide 16:24 21:17, 25:17 26:21, 26:23 38:21, 40:9 57:12, 62:24 107:5, 113:19 113:25, 127:1 136:10, 177:18 195:7</p> <p>provided 32:6 33:12, 116:20 116:25, 118:10 158:17, 159:6 163:17, 173:6 181:10, 184:14</p> <p>provides 34:9 43:7</p> <p>providing 61:22 137:19, 141:24</p> <p>public 13:17 13:22, 28:6, 28:7 43:3, 44:4, 73:3 73:14, 82:13 85:2, 103:17 103:19, 196:18</p> <p>public/private 103:18</p> <p>publicly 29:1 96:18, 104:4 136:14, 184:11</p> <p>publish 14:12 114:13</p> <p>published 100:24</p> <p>pulled 45:6, 64:4 92:2, 106:13 106:16</p> <p>pump 45:13 50:25, 93:17 138:22, 143:19 168:9, 193:16 193:16, 195:15</p> <p>pumped 71:3 138:18</p> <p>pumping 126:11</p>	<p>pumps 93:14 150:21</p> <p>purchase 6:21 17:11, 17:14 23:10, 39:10 39:14, 109:4 120:3, 150:15 153:17, 153:21 170:23</p> <p>purchased 17:5 112:8, 170:24</p> <p>purchasers 180:23, 183:5</p> <p>purchasing 36:23 111:16</p> <p>pure 146:14</p> <p>Purely 109:20</p> <p>purple 54:6, 54:7 54:8, 72:20 72:21, 111:2</p> <p>purpose 21:4 23:13, 55:6 88:14, 96:8 137:15</p> <p>purposes 63:4 153:9, 171:12 194:18, 195:14</p> <p>pursued 172:9</p> <p>put 27:9, 28:1 28:13, 28:14 31:13, 38:10 49:20, 70:19 74:15, 81:21 92:23, 119:19 120:5, 120:7 126:5, 140:6 145:14, 146:21 151:7, 156:11 156:20, 157:14 162:7, 171:1 175:13, 175:18 181:15, 181:19 182:22, 196:9 198:23</p> <p>puts 111:4 157:12</p> <p>putting 145:9 162:22</p>
Q				
<p>quality 15:9 150:2, 167:5</p> <p>quarterly 114:13</p>				

question 21:2 21:19, 28:17 34:14, 37:4 40:10, 41:10 47:1, 50:20 55:16, 63:13 65:6, 88:11 114:11, 117:7 120:15, 127:22 127:25, 133:8 138:3, 140:20 147:1, 160:20	rapidly 54:15 108:16 rate 7:19, 16:16 25:3, 31:20 45:20, 86:25 109:18, 109:21 109:24, 110:6 112:7, 112:9 180:14, 180:18 182:4 rates 7:20, 16:4 16:4, 36:11 108:22, 109:16 110:10	61:16, 75:10 86:12, 92:16 105:4, 105:6 141:20, 147:24 158:25, 161:17 164:17, 172:25 181:9 reasonable 109:24, 110:8 reasons 65:15 105:4, 182:24 201:22 recalculate 97:22 recalculated 97:25 recall 14:21 159:20 receive 34:25 received 12:17 12:19, 22:10 23:3, 23:22 46:20, 166:19 Recess 80:3 122:7, 198:11 recharge 24:19 24:21, 24:23 25:9, 113:3 recognized 116:11 recollection 15:18, 20:15 24:4, 128:18 recommend 157:18 recommendations 96:13, 97:5 recommended 30:19, 137:1 137:6, 137:11 137:18, 139:19 139:24, 139:25 140:4, 141:16 recommending 137:10 record 11:4, 11:5 11:6, 12:1, 12:10 17:15, 34:7 46:10, 48:8 48:11, 66:18 70:24, 70:24 71:19, 80:2, 80:5 83:4, 83:6, 86:14 92:1, 94:4, 95:20 95:23, 97:8	97:14, 97:21 98:2, 98:7, 100:5 101:1, 122:6 123:5, 130:20 140:15, 144:3 144:12, 145:3 145:5, 145:6 148:14, 156:8 192:2, 192:5 192:9, 198:10 198:13, 198:13 204:1, 204:3 204:9, 204:14 recorded 73:5 records 73:6 94:15 recovery 19:8 recross 3:11 164:5 RECROSS-EXA... 164:6 red 54:7, 54:8 67:14, 75:16 75:25, 77:8 77:13, 77:19 77:20, 77:25 78:1, 85:22 110:23, 111:1 112:20, 112:21 196:8 redirect 3:10 155:16, 155:19 196:25 reduce 171:10 reduced 34:9 45:3, 68:1, 68:19 68:22, 69:14 69:22, 95:25 99:12, 99:17 100:7, 100:12 100:15, 111:20 205:10 reduces 69:6 69:7 reduction 102:6 Reece 155:16 Reese 2:8, 2:9 3:6, 3:10, 10:24 10:24, 10:25 11:3, 11:13 11:19, 11:24 12:9, 12:13, 26:3 26:11, 47:13 47:23, 48:1, 48:8	48:16, 79:22 79:24, 80:5, 80:6 120:19, 121:6 121:25, 130:22 131:4, 136:9 136:13, 155:17 155:20, 163:10 163:23, 165:19 197:13, 197:25 203:4, 204:11 referenced 159:25 referral 181:13 referred 160:25 referring 52:24 160:15, 195:19 refill 97:23, 194:6 refilled 95:8 reflect 12:10 64:5 reflected 81:11 117:21, 168:22 reflection 100:14 refreshing 132:5 regard 46:5 56:19, 81:8 100:15, 112:4 159:17, 176:8 181:18, 188:11 188:15, 192:11 regarding 19:7 29:2, 29:16 34:10 regardless 111:7 162:17 regards 107:15 regime 84:23 region 4:10, 9:8 9:9, 80:12, 92:22 140:15, 140:16 140:23, 156:12 156:20, 158:3 159:4, 159:5 159:5, 159:9 159:9, 160:9 160:23, 160:25 163:16, 163:16 164:18, 164:18 164:19, 164:21 165:8, 165:12 165:12, 170:7 172:24, 173:6 180:25, 182:19 region's 160:7
questions 23:17 28:11, 36:24 37:10, 38:19 40:15, 40:16 41:5, 43:21 62:22, 119:17 121:7, 149:8 153:10, 155:15 155:18, 161:22 162:21, 163:11 164:8, 165:16 191:4, 196:22 197:2 quick 26:22 quicker 113:9 quickly 83:5, 83:6 112:13, 117:2 162:5 quite 13:2, 35:23 113:21, 156:8 quote-unquote 30:15	raw 45:20, 45:21 55:20, 56:5, 56:8 59:24, 143:19 157:12 Ray 1:22, 205:4 205:18 reach 93:18 155:24 reaching 156:2 read 27:14, 40:21 53:18, 56:11 56:17, 57:16 57:22, 60:12 64:3, 64:20 72:18, 78:21 82:18, 85:4 98:19, 107:21 110:14, 110:22 112:13, 113:11 114:9, 114:10 127:20, 138:19 138:24, 139:1 reading 133:14 ready 11:10 43:24, 123:9 161:19, 161:24 162:13, 198:20 203:8, 203:12 real 77:17, 148:5 181:10 realistically 196:11 really 50:11 73:16, 82:1, 99:9 121:21, 124:4 129:3, 174:18 175:11, 200:16 reapplication 41:2 reason 20:9, 53:6	recalled 14:21 159:20 receive 34:25 received 12:17 12:19, 22:10 23:3, 23:22 46:20, 166:19 Recess 80:3 122:7, 198:11 recharge 24:19 24:21, 24:23 25:9, 113:3 recognized 116:11 recollection 15:18, 20:15 24:4, 128:18 recommend 157:18 recommendations 96:13, 97:5 recommended 30:19, 137:1 137:6, 137:11 137:18, 139:19 139:24, 139:25 140:4, 141:16 recommending 137:10 record 11:4, 11:5 11:6, 12:1, 12:10 17:15, 34:7 46:10, 48:8 48:11, 66:18 70:24, 70:24 71:19, 80:2, 80:5 83:4, 83:6, 86:14 92:1, 94:4, 95:20 95:23, 97:8	recorded 73:5 records 73:6 94:15 recovery 19:8 recross 3:11 164:5 RECROSS-EXA... 164:6 red 54:7, 54:8 67:14, 75:16 75:25, 77:8 77:13, 77:19 77:20, 77:25 78:1, 85:22 110:23, 111:1 112:20, 112:21 196:8 redirect 3:10 155:16, 155:19 196:25 reduce 171:10 reduced 34:9 45:3, 68:1, 68:19 68:22, 69:14 69:22, 95:25 99:12, 99:17 100:7, 100:12 100:15, 111:20 205:10 reduces 69:6 69:7 reduction 102:6 Reece 155:16 Reese 2:8, 2:9 3:6, 3:10, 10:24 10:24, 10:25 11:3, 11:13 11:19, 11:24 12:9, 12:13, 26:3 26:11, 47:13 47:23, 48:1, 48:8	reflected 81:11 117:21, 168:22 reflection 100:14 refreshing 132:5 regard 46:5 56:19, 81:8 100:15, 112:4 159:17, 176:8 181:18, 188:11 188:15, 192:11 regarding 19:7 29:2, 29:16 34:10 regardless 111:7 162:17 regards 107:15 regime 84:23 region 4:10, 9:8 9:9, 80:12, 92:22 140:15, 140:16 140:23, 156:12 156:20, 158:3 159:4, 159:5 159:5, 159:9 159:9, 160:9 160:23, 160:25 163:16, 163:16 164:18, 164:18 164:19, 164:21 165:8, 165:12 165:12, 170:7 172:24, 173:6 180:25, 182:19 region's 160:7
R				
rain 69:5, 69:15 69:15, 86:4 raindrop 69:3 rainfall 68:2 81:19, 177:5 193:14 raining 85:18 rains 70:1 Ranch 17:12 170:25 range 75:14 77:11 rank 59:18 ranked 4:16 59:18 ranks 15:11 rapid 31:20	reading 133:14 ready 11:10 43:24, 123:9 161:19, 161:24 162:13, 198:20 203:8, 203:12 real 77:17, 148:5 181:10 realistically 196:11 really 50:11 73:16, 82:1, 99:9 121:21, 124:4 129:3, 174:18 175:11, 200:16 reapplication 41:2 reason 20:9, 53:6	recalled 14:21 159:20 receive 34:25 received 12:17 12:19, 22:10 23:3, 23:22 46:20, 166:19 Recess 80:3 122:7, 198:11 recharge 24:19 24:21, 24:23 25:9, 113:3 recognized 116:11 recollection 15:18, 20:15 24:4, 128:18 recommend 157:18 recommendations 96:13, 97:5 recommended 30:19, 137:1 137:6, 137:11 137:18, 139:19 139:24, 139:25 140:4, 141:16 recommending 137:10 record 11:4, 11:5 11:6, 12:1, 12:10 17:15, 34:7 46:10, 48:8 48:11, 66:18 70:24, 70:24 71:19, 80:2, 80:5 83:4, 83:6, 86:14 92:1, 94:4, 95:20 95:23, 97:8	recorded 73:5 records 73:6 94:15 recovery 19:8 recross 3:11 164:5 RECROSS-EXA... 164:6 red 54:7, 54:8 67:14, 75:16 75:25, 77:8 77:13, 77:19 77:20, 77:25 78:1, 85:22 110:23, 111:1 112:20, 112:21 196:8 redirect 3:10 155:16, 155:19 196:25 reduce 171:10 reduced 34:9 45:3, 68:1, 68:19 68:22, 69:14 69:22, 95:25 99:12, 99:17 100:7, 100:12 100:15, 111:20 205:10 reduces 69:6 69:7 reduction 102:6 Reece 155:16 Reese 2:8, 2:9 3:6, 3:10, 10:24 10:24, 10:25 11:3, 11:13 11:19, 11:24 12:9, 12:13, 26:3 26:11, 47:13 47:23, 48:1, 48:8	reflected 81:11 117:21, 168:22 reflection 100:14 refreshing 132:5 regard 46:5 56:19, 81:8 100:15, 112:4 159:17, 176:8 181:18, 188:11 188:15, 192:11 regarding 19:7 29:2, 29:16 34:10 regardless 111:7 162:17 regards 107:15 regime 84:23 region 4:10, 9:8 9:9, 80:12, 92:22 140:15, 140:16 140:23, 156:12 156:20, 158:3 159:4, 159:5 159:5, 159:9 159:9, 160:9 160:23, 160:25 163:16, 163:16 164:18, 164:18 164:19, 164:21 165:8, 165:12 165:12, 170:7 172:24, 173:6 180:25, 182:19 region's 160:7

regional 4:8, 6:20 9:3, 9:4, 9:6, 20:7 29:2, 30:18 53:11, 61:20 61:21, 65:18 92:19, 108:18 121:1, 121:2 121:4, 130:10 130:16, 130:16 130:17, 132:2 137:3, 137:5 137:9, 139:18 143:3, 143:4 143:11, 143:12 152:23, 153:4 153:11, 155:7 155:7, 155:21 156:15, 156:19 157:14, 158:2 158:3, 158:7 158:13, 158:18 159:25, 161:8 163:16, 164:1 164:24, 165:6 169:24 registered 12:20 Registration 1:5 10:11, 205:20 regression 112:22 regularly 14:11 regulatory 70:11 relate 43:23 178:24 related 12:3 relates 125:10 relation 12:3 relative 59:12 74:18, 102:11 124:25 relatively 93:7 94:22 release 148:11 148:24 released 93:10 147:5, 148:15 releases 69:24 146:13, 146:17 148:5, 148:17 148:20, 148:21 releasing 194:21 relevant 88:25 reliability 34:8 reliable 76:2	106:23, 107:1 107:1 reliance 29:18 141:18 reliant 92:10 relic 98:3 relied 14:12 47:11, 48:18 63:15, 106:24 rely 25:17, 47:9 55:3, 92:17 99:13, 99:17 100:2 relying 34:1 92:16, 101:19 remain 62:14 113:14 remaining 98:3 remains 86:15 remand 1:11 9:19, 10:9, 27:1 28:11, 28:17 30:8, 41:10 63:12, 64:6 66:11, 198:23 202:8, 203:14 remanded 119:17 remember 19:6 27:15, 89:23 126:21, 142:8 154:19, 154:20 159:2, 159:21 160:13, 173:19 173:20 REMEMBERED 1:16 remembering 27:7 remind 80:6 123:6 remove 44:24 removes 42:5 renew 40:12 162:18 renewal 40:18 40:22, 40:24 124:24, 125:1 125:6, 125:10 125:14, 125:25 126:2, 162:17 repeat 21:19 50:20, 70:23 71:2, 98:21 140:20, 148:3	replace 90:13 replaced 90:16 90:18 replacement 32:4 replacing 189:17 reply 200:20 200:21, 200:22 201:4, 201:5 201:14, 201:15 204:5, 204:6 report 26:11 26:16, 26:21 116:14, 141:14 141:23, 179:19 203:15 reported 1:22 15:25, 205:9 reporter 1:23 124:1, 124:4 136:22, 146:20 205:4, 205:18 REPORTER'S 3:15 Reporting 205:20 reports 14:12 representative 66:2 represents 82:19 85:15, 91:12 94:12, 94:17 111:11, 118:1 request 66:15 101:14, 126:1 requested 66:11 requesting 22:9 61:13 requests 22:10 require 152:19 179:2 required 179:5 190:2 requirement 28:21, 107:4 requires 126:22 148:19, 179:1 research 88:17 179:23 reservation 153:24 reserve 149:16 151:12 reservoir 5:19 6:16, 13:25 35:22, 46:13	70:20, 70:21 70:23, 71:8, 71:9 73:21, 74:13 74:14, 74:18 74:19, 74:20 76:15, 77:6 77:12, 77:14 77:21, 116:4 118:14, 118:18 144:1, 144:19 144:20, 144:24 146:16, 147:19 174:8, 174:13 174:14, 189:2 189:2, 189:12 193:7, 193:11 194:5, 194:9 194:20, 195:5 reservoir-filling 170:10 reservoirs 5:18 6:6, 6:8, 35:13 68:11, 68:12 68:13, 68:16 69:8, 70:15 73:24, 74:13 75:17, 75:20 75:25, 76:17 82:5, 82:15 145:7, 148:6 149:13, 170:1 173:16, 174:18 174:21, 174:24 189:9, 189:10 189:25, 193:2 193:8 resistent 35:17 resolution 8:19 184:12, 184:14 184:19, 184:22 184:25, 185:5 191:21, 192:3 192:4 resource 13:22 116:17, 175:21 178:2 resources 6:14 8:10, 8:12, 19:6 19:19, 96:11 159:23, 160:1 168:3, 168:12 168:17, 169:1 171:15 respect 157:2	respond 96:14 responded 101:13 response 6:13 64:6, 101:16 117:9, 184:10 responsibility 15:18, 169:25 183:2 responsible 30:23, 45:22 168:2, 169:22 170:2, 183:2 rest 108:23, 129:1 163:7, 163:19 197:13 restate 133:8 result 18:21 68:19, 68:20 68:24, 70:11 108:22, 126:11 149:6 resulting 19:17 results 43:3 retail 33:4, 33:6 retained 20:10 96:11 retire 173:1 173:6 retired 17:20 17:24, 46:3 167:20, 172:20 185:13 return 44:16 45:17 returned 167:1 reuse 35:16 revenue 39:23 reverse 104:5 review 29:14 42:24, 47:9 124:25, 139:23 159:3, 159:8 reviewed 35:9 48:18, 116:18 116:23, 159:4 160:3, 176:19 176:20 reviewing 96:21 revoke 25:13 rice 171:6 Richard 6:14 Ridge 6:18, 6:19 6:20, 6:21, 6:22
---	---	--	--	---

42:21, 42:23 43:23, 44:14 45:15, 103:7 103:14, 109:19 127:3, 127:8 151:9, 186:2 186:13, 187:8 right 24:13, 34:5 36:25, 37:3, 38:5 38:7, 48:16, 53:1 53:16, 58:10 59:1, 60:6, 64:10 75:1, 75:2, 75:5 75:6, 76:7, 77:24 80:10, 83:12 89:20, 89:23 112:9, 120:14 124:19, 127:4 128:24, 132:23 133:25, 134:2 134:15, 136:2 136:3, 136:5 139:9, 140:4 148:19, 149:10 150:3, 150:11 154:20, 157:15 159:2, 160:13 175:12, 175:25 181:13, 193:8 194:10, 197:24 200:16 right-hand 53:23 60:10, 63:25 72:14, 72:15 80:18, 83:1 83:13, 98:13 101:14, 103:8 104:9, 107:21 107:23, 110:25 111:3, 131:10 131:11, 132:23 right-of-way 196:12, 196:16 196:19 rights 13:5, 13:8 13:13, 17:4, 17:6 18:11, 19:16 33:16, 37:17 38:8, 89:18 89:19, 92:5 114:21, 115:3 116:2, 130:6 170:23, 170:24 170:25, 171:1	rise 62:9 risk 16:6, 16:8 16:10, 16:16 34:9, 44:7, 44:24 45:3, 45:14, 46:8 65:20, 77:17 85:3, 90:2, 100:4 112:3, 141:19 156:7, 172:6 risks 16:14, 16:15 29:17, 33:25 40:12, 111:19 river 4:11, 5:18 6:9, 14:4, 14:5 14:8, 15:1, 33:15 33:18, 33:21 35:22, 69:4, 69:5 70:4, 75:18 75:20, 76:1 76:18, 77:25 89:14, 89:16 93:24, 111:24 144:21, 167:17 168:4, 178:19 189:3, 193:14 193:17, 194:3 196:8 rivers 69:8, 69:16 69:18 rjohnson@mcgi... 2:6 rmelvin@gdhm.... 2:17 Robin 2:14, 10:20 ROCHELLE 2:20 Rock 7:5, 20:17 20:20, 21:4, 21:9 22:12, 22:16 23:10, 23:12 32:18, 33:19 36:11, 38:14 43:18, 60:22 61:9, 61:10 61:10, 61:19 62:15, 105:10 105:11, 105:21 106:10, 142:18 142:18, 153:4 153:9, 154:11 154:16, 154:21 160:16, 177:15 177:21, 179:24 180:5 Rock's 108:12	154:19 role 22:19, 23:23 24:1, 24:13 24:16, 24:25 25:9, 32:23 roll 156:23 rollup 158:8 rose 95:7 rough 76:10 roughly 66:15 round 7:5, 32:18 33:19, 36:11 43:18, 53:15 53:25, 57:25 60:22, 61:9 61:10, 61:10 61:11, 61:19 62:15, 72:16 92:19, 105:10 105:11, 105:21 106:10, 108:12 142:18, 142:18 153:4, 153:9 154:10, 154:16 154:19, 154:21 Route 7:11 row 62:1, 62:2 63:20, 63:21 64:12, 65:1 77:23, 107:19 108:14, 109:13 114:17, 115:4 rows 59:1, 59:1 63:15, 63:16 63:17, 63:20 77:23 rule 125:8, 125:11 rules 40:21 124:24, 124:25 125:9, 125:19 126:22, 145:22 162:15 run 75:18, 90:15 145:4, 145:6 152:4 run-of-river 99:25 114:21, 115:3 116:2, 194:2 running 69:4 147:19, 189:16 runoff 76:25 Russell 2:4 10:25	S Saba 6:9 saddled 40:10 safe 168:25 170:15 safety 13:11 sale 97:16 Sales 7:9 San 6:9, 16:23 17:2, 42:12 93:23, 103:23 160:10, 160:12 171:18, 171:21 186:2, 186:25 187:5, 187:10 187:14, 193:1 195:15 Sandy 143:19 Sanford 6:3 satisfy 178:4 Satterwhite 91:22 savings 152:22 saw 56:18, 76:11 78:6, 82:2, 91:23 91:23, 174:22 192:17 SAWS 6:19, 6:21 6:22, 16:20 16:22, 16:23 42:11, 42:20 42:20, 42:21 43:22, 43:23 44:8, 44:10 44:18, 44:21 103:23, 103:25 104:5, 104:23 105:2, 105:2 126:16, 127:3 127:8, 127:17 151:9, 160:5 172:20, 172:23 186:7, 186:8 186:10, 186:15 186:16, 187:5 187:11, 195:13 SAWS/Vista 6:18 103:7, 103:14 109:19, 151:9 186:13 saying 114:18 117:13, 150:24 151:2, 182:20 199:25, 201:21	says 27:21, 45:17 67:5, 71:1, 72:9 89:4, 107:18 107:19, 117:11 117:17, 131:12 132:3, 134:14 134:15, 138:15 139:10, 139:13 140:13, 140:21 156:18, 165:6 scale 72:4, 111:2 scenario 113:16 113:21 scenarios 98:17 118:12 schedule 198:7 198:20, 198:21 204:4 scheduled 184:15 school 13:7 science 12:17 166:15 scope 202:8 scramble 97:22 188:4 seal 205:15 seated 11:16 166:4 SEC 107:4 second 12:9, 37:4 43:6, 56:1, 61:1 61:25, 77:4 77:23, 88:4 90:24, 91:10 97:4, 111:21 133:15, 160:20 second-column--- 60:6 second-to-last 61:1 Section 125:11 125:12 sections 159:5 security 112:5 119:25 sediment 144:14 see 31:15, 38:16 40:13, 43:10 46:11, 52:21 53:18, 53:24 55:4, 55:10 56:23, 57:23 57:25, 59:15
---	--	---	---	---

63:22, 72:12 72:15, 77:10 77:22, 79:16 80:19, 83:1, 83:4 85:5, 85:8, 85:10 85:13, 85:16 86:17, 93:12 93:13, 95:6 95:12, 98:13 98:25, 99:3, 99:5 101:5, 123:21 131:13, 133:21 134:15, 135:9 144:7, 152:19 170:23, 177:14 184:1 seeing 58:3 69:25, 132:17 182:13 seek 141:21 191:6 seen 34:19, 58:16 101:11, 124:16 124:17, 157:5 seepage 144:16 sell 8:7, 33:3 40:2, 40:7, 47:3 47:6, 66:4, 92:6 100:2, 103:9 114:11, 117:8 seller 43:8 semi-continuous 81:2 Senate 19:5 senior 167:12 170:23 sense 76:10 separated 87:15 September 6:22 95:3, 95:3, 95:22 sequentially 138:11 series 63:16 63:17, 78:9 87:12, 102:11 seriously 120:2 serve 135:1 173:25 served 166:25 167:19 serves 138:1 138:1, 160:9 service 8:16 39:24, 205:20	services 14:11 15:8, 16:25, 17:2 177:18 session 3:7 123:1, 185:13 set 43:14, 45:20 71:12, 98:3 126:13, 126:13 173:2, 205:7 205:14 sets 91:14 165:13 settlement 203:2 severe 78:10 severity 67:7 71:20, 71:25 73:14, 79:10 sewage 189:20 189:20 shaded 118:1 share 17:1, 24:7 36:21, 59:8 62:12, 88:1 155:6, 173:12 shared 153:4 sharing 121:4 sharp 81:19 81:24 sheet 93:3, 96:10 98:24 shift 102:9 Ship 167:8 short 147:19 149:8 short-term 19:22 shortage 132:9 132:9, 132:15 133:7, 133:11 137:14, 140:14 shortages 131:18 131:19, 131:20 132:3, 132:18 133:18, 140:22 shorter 31:1, 31:3 shortfall 139:13 shorthand 1:23 36:21, 205:4 205:18 show 37:3, 55:15 73:14, 75:20 81:22, 82:14 97:10, 98:8 108:24, 117:2 117:3, 125:8	133:4, 133:9 134:10, 137:17 showed 118:19 135:25, 146:8 157:7 showing 5:3 129:5, 129:7 133:10 shown 72:7 81:23, 89:20 95:18, 96:9 118:16, 119:2 133:17 shows 63:14 76:3, 78:14, 79:9 79:12, 81:18 85:23, 87:23 94:20, 94:21 96:24, 98:15 115:4, 118:6 128:20, 131:17 131:18, 131:19 137:18, 140:25 141:2, 141:3 shrinks 144:25 shutting 152:22 side 15:16, 15:23 53:23, 63:25 72:14, 80:18 83:1, 89:20, 90:6 104:9, 107:21 107:23, 110:22 110:25, 111:3 112:21, 201:17 significance 97:13, 176:21 significant 17:5 51:19, 79:13 182:7 significantly 186:19 similar 14:13 14:17, 18:14 46:14, 56:12 98:10, 98:25 119:4, 126:16 151:10, 159:13 187:19, 188:10 similarly 57:16 simplifying 115:13 simply 26:15 30:3, 52:7, 56:5 59:20, 59:24	68:1, 74:10, 93:5 98:2, 112:22 188:23 Simsboro 21:24 22:6, 41:20 161:3, 183:18 195:21 single 92:16 177:4, 177:4 188:5 sir 123:8, 164:1 166:15, 166:22 178:3, 179:7 187:17 sit 24:10 site 163:18 sitting 16:1 27:15, 175:12 situation 50:24 77:6, 89:13 89:15, 92:12 98:20, 170:13 173:25, 188:10 189:11, 194:15 situations 188:14 six 75:25, 86:25 98:17, 125:16 125:18 sixth 62:1, 62:2 138:15 size 182:9 skip 115:10 slide 89:6 slides 89:4, 89:4 slightly 21:2 56:24, 58:17 82:19, 105:5 124:12 slipsheet 88:5 90:25 slipsheets 87:15 slope 81:22 95:15 small 61:6, 64:9 90:7, 105:4 108:16, 111:10 142:3, 142:11 167:10 smaller 41:9 61:12, 64:4 101:10, 108:20 smallest 60:2 snapshot 67:2 67:17	snapshots 72:1 SOAH 1:1 soil 68:6, 68:6 sold 115:7, 115:8 146:5, 149:17 153:6 sole 141:19 solid 85:13 solve 34:22 50:11, 194:13 somebody 117:8 127:14, 150:15 somebody's 126:2 soon 34:14, 51:3 120:21, 124:15 147:20, 162:5 174:11, 185:21 185:21 sorry 17:10, 21:7 21:19, 50:20 58:6, 63:20 69:20, 84:6 99:15, 120:16 124:1, 132:21 136:16, 138:10 146:21, 149:2 149:3, 158:7 180:2, 191:6 sort 45:24, 55:20 55:25, 67:14 72:17, 76:4 121:4, 132:10 143:15, 148:21 sorted 59:25 164:19 sorting 165:1 sorts 15:9 sought 116:5 sound 27:10 142:7 sounds 135:21 198:8 source 7:15 29:17, 33:11 33:18, 35:12 45:11, 58:14 74:23, 92:16 92:17, 99:13 107:13, 141:19 146:1, 177:4 177:4, 187:15 187:18, 188:5 sources 33:21
---	---	--	--	--

35:5, 36:2, 99:21 100:19, 137:2 151:12, 151:16 south 160:10 193:20 southeast 75:19 speak 124:3 124:4, 188:19 speaker 88:16 special 25:2 specialized 168:3 species 188:8 specific 28:14 28:15, 29:16 55:1, 87:8 specifically 21:8 25:22, 32:1 33:13, 42:18 42:19, 46:18 66:7, 80:12, 81:7 97:11, 98:8 100:17, 137:25 158:12, 160:6 160:24, 160:24 170:8, 176:13 183:17, 190:16 specifics 25:20 specified 181:6 specimen 92:14 Spence 93:22 189:13 Spence/Thomas/... 5:24 spending 36:13 spikes 86:1 split 139:3 spoil 193:23 spoke 61:25 spoken 142:13 142:17 spokesperson 39:4 spread 110:6 spreadsheet 55:24, 142:1 142:3 spring 86:24 189:15, 189:19 square-looking 77:20 Stacey 2:8, 2:9 10:24, 10:24 stacey@reesela... 2:11	stacked 59:25 stacking 165:1 staff 15:19, 18:18 146:10, 166:22 stages 38:17 stand 53:13 54:22, 134:7 stand-alone 45:25, 120:23 standard 43:14 71:12, 100:4 103:16, 103:16 147:8, 180:17 200:7, 200:19 201:2, 201:14 standpoint 173:5 173:22, 182:5 start 78:22, 82:10 83:22, 86:19 87:17, 125:6 142:1, 147:20 151:3, 161:13 163:1, 163:9 195:24 started 55:6 73:18, 73:23 82:1, 84:2, 84:21 85:18, 86:8, 86:9 91:16, 118:20 119:11, 147:2 154:11, 196:18 starting 81:20 83:15, 91:14 91:18, 110:20 starts 81:17, 85:8 131:24 state 1:4, 11:25 12:21, 15:3 18:24, 30:16 49:13, 72:2 72:11, 72:16 72:24, 75:2 75:21, 76:5 76:12, 76:14 79:5, 87:22 156:22, 158:9 166:11, 189:24 205:2, 205:5 State's 158:8 stated 49:9, 94:2 116:1 statement 7:15 98:12, 106:25 107:13	statements 11:7 106:17, 106:24 statewide 156:14 stations 45:13 168:9 status 37:5, 37:21 51:4, 67:3, 68:16 126:18, 143:15 stay 70:1, 96:25 158:2 stayed 90:9 steeper 113:10 steepest 81:3 stem 95:5 step 35:14, 51:6 55:9, 69:13 sticking 93:14 stipulated 200:8 200:11, 202:3 stipulations 200:18, 200:23 201:7, 204:7 stomach 121:25 stop 55:18, 189:7 stopped 58:1 101:22 storage 5:12 5:14, 5:17, 5:24 19:7, 69:8, 74:2 76:20, 76:21 78:3, 82:11 82:14, 83:9 83:14, 83:17 96:1, 144:12 148:6, 148:24 149:1, 149:4 171:22, 193:17 193:21, 194:13 194:24, 195:12 195:14 store 193:25 stored 35:22 35:24, 68:12 99:25, 194:3 194:18, 195:3 storm 77:1 story 92:9 straight 88:11 strategies 6:14 35:16, 99:1, 99:9 115:2, 116:8 116:12, 116:21 128:5, 137:2 137:7, 137:11	137:12, 137:13 139:24, 140:5 141:16, 141:17 141:23, 142:2 strategy 90:13 116:1, 118:16 119:1, 137:8 137:19, 138:6 138:6, 139:6 139:19, 139:25 142:6 stream 39:23 39:24 Street 1:19, 2:9 stretch 182:17 strictly 57:10 strike 185:19 strong 62:10 121:3, 157:10 structure 182:5 structured 43:7 103:8 struggling 159:21 studied 40:18 42:11, 42:13 42:18, 74:1, 81:7 142:9 studies 14:1 14:11, 18:21 18:22, 20:1 study 6:14, 22:1 95:24, 96:23 96:24, 110:9 stuff 78:23, 156:6 163:4 subdivided 78:19 subject 22:3 25:20, 35:10 35:22, 44:20 112:2, 145:25 162:19 submission 163:13 submit 135:20 200:23 submits 156:13 submitted 100:23 101:6 subsequent 154:12 subsequently 103:22 substantially 172:10, 188:6	substitute 136:3 substituted 139:24 substitution 188:16, 190:3 subtract 133:5 subtracted 52:9 successful 181:3 181:8, 181:9 181:12, 190:20 190:23 sudden 188:3 suffering 76:16 sufficient 22:2 190:1 suggested 177:19 Suite 2:5, 2:15 2:21, 205:21 sum 22:9, 56:4 139:1, 190:13 summarize 23:15 summarized 47:9 summary 7:10 103:3, 115:11 137:1 summer 87:1 148:2 supervision 205:9, 205:11 Suppl 8:12 supplement 34:24, 90:14 118:13, 192:2 supplemental 35:8, 141:21 190:3 supplementation 90:22, 170:16 supplier 34:20 127:6 supplies 8:9, 8:13 20:1, 20:7, 28:7 29:19, 30:24 32:4, 32:24, 34:2 35:5, 35:9, 36:14 39:6, 46:2, 46:17 65:20, 111:17 114:14, 116:23 118:6, 119:25 128:6, 128:9 129:11, 129:15 129:22, 129:23 130:8, 132:7
---	---	--	---	--

132:12, 132:14 133:6, 133:12 141:21, 146:20 151:18, 169:24 170:7, 170:14 170:20, 171:2 172:11, 172:14 174:15, 176:14 176:22, 182:17 183:14, 183:20 187:13, 189:19 190:3, 190:7 194:11, 195:7 supply 2:19, 6:20 6:22, 8:5, 8:10 8:16, 10:18 13:10, 16:19 17:18, 19:22 20:4, 22:3, 28:6 33:12, 34:8 34:12, 34:24 36:17, 37:14 45:8, 45:12 45:20, 46:6, 46:7 50:16, 70:5 74:23, 75:13 82:13, 92:15 99:14, 99:18 99:21, 100:3 111:22, 112:4 114:3, 115:1 115:11, 115:25 116:17, 118:2 118:13, 118:23 129:16, 129:19 130:5, 137:2 137:16, 146:17 146:24, 151:17 154:22, 155:1 168:6, 168:7 170:2, 170:16 171:25, 172:4 173:22, 173:25 174:8, 174:9 174:14, 174:18 174:20, 174:22 175:14, 175:19 177:3, 177:6 177:6, 178:22 179:1, 179:2 187:4, 188:2 188:6, 188:16 188:17, 188:22 188:22, 188:24	189:18, 189:18 190:25 support 98:9 116:24, 117:3 118:9 supporting 66:21 102:22 supposed 72:5 108:21 sure 15:22, 18:25 21:20, 24:8 24:11, 40:25 42:6, 47:2, 50:21 58:10, 79:24 90:15, 93:7 99:16, 104:3 127:13, 136:11 143:15, 143:22 153:25, 163:18 198:24, 199:4 surface 4:21 13:10, 17:10 19:10, 34:1 34:15, 35:18 35:21, 46:6, 67:5 68:24, 69:11 70:4, 74:2, 90:19 99:18, 143:17 144:24, 173:22 178:18, 182:17 188:21, 188:23 189:17 surplus 132:8 133:6, 133:11 133:16, 133:24 146:4 Surplus/Shortag... 133:4 surprise 126:19 suspect 182:15 sustainability 178:1 sustainable 178:5 Sweetwater 189:16 sworn 11:15 11:22, 123:17 166:3, 166:8 system 16:23 41:16, 42:12 51:1, 61:20 89:20, 114:20 137:22, 151:7	171:18, 171:21 178:17, 178:17 186:2, 186:7 187:14, 188:21 189:21, 193:1 systems 105:17 114:2 T Tab 130:15 164:10, 165:4 table 3:1, 52:2 54:12, 56:2, 57:2 60:15, 60:18 60:19, 62:13 63:14, 64:4 103:5, 103:6 104:10, 106:22 108:15, 109:14 114:5, 130:7 131:17, 131:24 132:11, 133:3 133:10, 133:16 133:18, 136:24 136:25, 137:17 140:10, 140:21 140:23, 140:25 142:9 tables 10:15, 56:7 71:20, 90:25 106:22 take 10:13, 45:14 48:21, 48:23 55:9, 61:17 66:25, 69:13 78:13, 78:25 84:14, 87:11 100:13, 106:9 110:12, 112:12 117:20, 121:18 122:3, 122:4 127:22, 129:10 133:5, 143:18 143:25, 144:6 144:19, 144:20 146:12, 147:18 151:11, 151:15 152:1, 152:8 152:18, 163:14 163:24, 164:3 169:6, 174:2 181:14, 185:14 186:15, 186:21	189:20, 193:22 193:23, 196:3 196:4, 197:16 197:17, 198:4 198:6, 203:10 203:16 take-or-pay 151:10 taken 31:7, 44:18 93:7, 96:24 106:2 taker 192:18 takes 48:12, 49:5 151:9, 162:6 162:7, 194:1 talk 25:5, 64:12 67:22, 73:19 80:20, 100:17 117:6, 128:25 161:25, 162:13 169:20, 177:2 177:10, 182:25 192:9 talked 24:9, 69:13 69:14, 87:19 91:21, 124:23 127:3, 127:4 128:4, 142:21 142:24, 143:2 145:16, 145:20 149:20, 156:7 161:10, 183:17 183:18, 183:25 talking 65:15 91:11, 99:9 108:2, 110:15 111:19, 119:5 129:4, 133:4 138:2, 140:22 147:20, 195:6 Tank 7:11 task 6:15, 96:11 96:15, 97:5, 99:1 tasked 183:2 TCEQ 13:9, 67:4 67:6, 71:6, 99:23 101:7, 101:13 101:15, 101:15 146:10, 167:5 team 13:23 Tech 166:16 166:21 technical 64:5 Technically	193:22 techniques 171:24 technology 19:8 teeny 131:13 Telephone 2:6 2:10, 2:16, 2:22 tell 12:16, 13:4 14:15, 15:1 15:12, 16:22 20:13, 27:18 33:13, 37:8 38:24, 49:3 51:14, 52:22 54:10, 56:10 59:5, 60:21 63:10, 67:1 67:21, 70:7 71:24, 74:6 74:22, 76:13 77:19, 79:2 80:15, 81:13 82:17, 83:17 89:9, 90:3, 91:6 94:8, 96:21 97:12, 100:14 100:17, 105:1 106:14, 107:14 109:11, 110:14 112:13, 112:14 114:9, 118:21 120:6, 184:8 198:22 tells 54:11, 62:10 71:1, 73:12 73:12, 76:11 94:23, 95:17 118:22, 173:16 temperature 5:7 5:11, 80:16, 81:9 81:25 temperatures 68:20, 81:2, 81:4 ten 66:10, 66:15 tend 157:7 tender 169:12 tenders 26:3 tenure 46:2 169:21, 170:5 term 29:24, 30:3 40:6, 40:11, 41:8 44:1, 49:8, 69:7 70:21, 139:17 150:25, 178:2
---	---	---	--	---

178:6, 181:16 181:20, 182:23 terminate 53:16 terminated 173:9 terms 27:13, 31:2 31:3, 31:18 40:11, 43:9, 44:6 44:8, 51:2, 59:13 73:15, 90:21 95:20, 95:25 103:10, 104:23 111:16, 129:18 162:18, 173:10 test 11:17, 108:25 109:15 testified 11:22 18:13, 18:18 18:23, 19:3, 19:7 23:6, 25:16, 49:1 51:6, 63:2, 66:16 124:8, 125:3 125:5, 147:9 166:8, 188:20 191:20, 192:25 199:10 testify 25:13 123:17, 169:17 186:1, 193:5 testifying 169:15 testimony 18:7 18:10, 18:12 25:10, 25:18 25:21, 26:12 33:25, 94:2 123:23, 124:7 124:23, 149:20 152:6, 152:11 154:15, 169:2 170:9, 175:25 176:6, 176:13 176:16, 200:10 Texas 1:20, 2:5 2:10, 2:16, 2:21 4:21, 4:23, 5:3 5:4, 5:5, 5:7, 5:9 5:11, 6:9, 10:8 12:18, 12:19 12:21, 13:4 13:12, 14:7, 19:3 19:8, 19:16 19:18, 28:22 49:24, 67:4, 72:2 74:13, 75:2 75:18, 76:8	76:15, 76:16 77:1, 78:15 78:16, 78:17 78:19, 78:19 78:23, 80:13 80:16, 87:9 87:19, 89:5 89:10, 93:21 93:21, 132:18 150:1, 163:17 164:15, 166:16 166:17, 166:21 167:4, 171:5 173:18, 188:1 189:22, 193:20 195:21, 205:2 205:5, 205:21 thank 10:19 10:23, 11:2 17:15, 47:13 47:19, 48:1 48:14, 48:15 55:19, 121:6 121:9, 121:21 123:22, 128:3 128:3, 129:3 129:9, 132:1 133:19, 135:2 136:17, 136:24 142:10, 143:6 149:7, 155:14 163:10, 164:4 165:15, 165:20 165:22, 166:6 169:14, 169:19 191:3, 192:15 194:8, 195:16 196:24, 197:5 197:7, 197:15 204:14 theft 144:17 theoretical 118:14, 147:8 147:17 theoretically 115:14, 146:4 150:22 thing 42:2, 42:3 87:9, 93:22 132:5, 135:21 138:25, 156:1 175:6, 175:8 177:7, 192:10 things 15:10	29:22, 44:3 68:21, 82:24 111:18, 127:5 145:16, 170:21 178:14, 197:22 199:9, 200:8 think 18:24, 23:9 26:20, 30:13 31:4, 32:6, 34:13 34:18, 38:22 39:9, 40:25, 41:5 43:19, 44:5 54:16, 55:15 59:9, 61:23 62:21, 62:22 64:5, 66:4, 66:19 67:24, 68:10 70:17, 73:17 74:15, 78:16 81:4, 85:9, 87:1 89:13, 91:15 95:14, 99:22 100:16, 102:18 103:15, 103:16 103:24, 105:14 105:21, 107:13 114:15, 117:3 119:13, 120:2 120:16, 121:20 122:2, 123:9 124:7, 125:3 125:5, 126:15 127:12, 130:2 130:7, 133:20 135:25, 142:10 144:3, 146:11 148:12, 148:20 149:18, 150:22 151:5, 151:14 153:15, 153:23 154:5, 154:19 156:16, 157:4 159:7, 160:1 162:13, 165:13 168:25, 176:24 181:9, 181:11 181:21, 181:22 182:9, 189:11 189:22, 189:23 191:2, 194:9 194:11, 196:3 198:5, 198:20 198:25, 199:21 201:8, 203:13	thinking 17:10 55:2, 98:11 127:13, 199:3 third 37:7, 56:1 68:9 Thomas 93:22 189:14 Thornhill 3:5, 3:9 11:14, 11:15 11:17, 11:21 11:25, 12:2, 12:4 12:4, 12:10 12:14, 18:1, 21:3 26:4, 26:7, 26:9 26:25, 47:8 48:16, 66:16 80:6, 89:6 116:14, 119:16 121:6, 123:6 123:8, 123:16 123:21, 130:9 131:8, 136:15 136:19, 163:10 164:9, 165:20 165:22, 176:3 177:20, 186:1 188:20, 190:18 193:5 Thornhill's 175:24, 176:6 thought 30:23 34:23, 54:18 57:19, 64:2 66:17, 85:2 90:14, 107:12 117:5, 125:5 146:25, 150:11 188:2 thousand 104:17 106:4, 106:21 107:18, 107:22 107:24, 111:2 threatened 141:20 three 11:17 18:17, 36:24 37:9, 38:19 57:21, 62:18 62:22, 75:5, 85:9 86:15, 90:12 90:25, 91:11 91:24, 97:2 134:20, 143:20 149:15, 151:23	153:13, 161:22 162:2, 162:11 173:24, 189:10 three-quarters 59:10 threshold 87:3 tick 81:25 ticked 86:5 tie 187:4 tied 188:2 tier 107:18 time 14:1, 15:15 16:18, 17:4, 18:6 18:12, 23:7, 23:9 26:15, 28:15 28:19, 31:16 37:18, 38:23 39:4, 39:12 46:16, 49:12 54:1, 60:11, 62:8 62:25, 67:2 67:17, 71:21 72:8, 77:5, 79:3 79:15, 79:23 80:17, 81:22 82:6, 82:25 83:20, 84:9 84:25, 90:14 91:13, 92:7 94:22, 100:15 101:9, 110:4 110:10, 111:6 112:7, 112:15 113:7, 115:24 125:9, 125:21 127:7, 130:19 142:8, 144:13 145:7, 146:12 147:22, 157:6 160:5, 160:16 160:19, 161:19 162:7, 167:21 167:23, 167:23 169:12, 181:5 183:25, 186:11 189:7, 197:16 timeline 90:20 times 18:24, 19:2 66:10, 66:15 68:24, 70:14 107:9, 110:5 139:22, 140:2 147:25, 173:24 timing 73:15
---	--	---	--	---

tiny 131:13 title 18:25, 96:10 125:15 today 8:8, 10:7 10:9, 18:14 24:10, 24:21 25:10, 25:14 25:18, 26:1 26:12, 26:23 33:25, 38:1 41:23, 49:14 53:13, 69:25 70:12, 72:4 75:15, 79:12 79:18, 81:4 82:25, 84:24 86:10, 86:20 89:1, 91:19, 93:6 94:2, 95:14 102:1, 111:23 113:22, 114:12 114:18, 116:9 116:21, 116:25 117:8, 118:10 119:11, 141:12 145:4, 145:5 148:12, 148:22 155:23, 156:2 156:25, 161:24 180:12, 182:13 183:9, 189:12 195:24, 200:10 today's 14:13 35:10, 95:16 told 142:5, 154:5 185:14 tool 72:20, 73:11 73:13 top 4:16, 51:18 51:18, 53:2, 53:8 56:23, 60:17 63:16, 72:10 74:8, 75:5, 91:9 91:12, 108:15 173:23, 175:12 194:7, 196:10 topics 25:25 total 4:12, 5:12 8:3, 41:16, 55:4 56:13, 57:3 58:11, 58:22 59:6, 59:9, 59:9 59:21, 62:2 63:18, 64:8	64:23, 82:11 82:20, 107:19 110:22, 111:12 115:1, 115:11 127:16, 149:15 182:13 totally 45:24 92:15, 93:12 111:24, 129:14 132:6, 203:23 totals 51:17 tower 93:9, 93:12 TOWNSEND 2:20 track 54:25, 55:6 tracks 74:12 Trail 134:4 train 146:25 transcript 203:8 transcription 205:12 transfer 1:6 10:11, 107:25 108:3, 108:6 transition 180:8 transitioned 183:1 translate 55:10 transmission 6:20, 15:8, 15:9 16:9, 175:7 transport 182:22 Travis 4:5, 4:7 4:13, 4:14, 4:18 5:13, 5:14, 5:16 5:22, 6:12, 31:9 32:5, 51:10 51:15, 51:22 53:3, 53:19 53:20, 56:15 57:4, 57:7, 58:23 63:16, 64:17 69:21, 75:3, 75:6 75:13, 76:18 76:19, 76:22 77:10, 82:12 83:14, 83:18 83:23, 84:7, 95:6 128:20, 129:2 140:19, 143:18 146:10, 149:4 151:22, 152:4 174:12, 176:10 176:14, 178:25 181:4, 183:23	190:15, 190:20 194:21, 205:3 treated 151:22 treating 39:17 45:22 treatment 8:4 61:20, 121:2 143:17, 143:19 151:20, 151:23 152:3, 168:7 168:8, 178:16 178:18, 179:1 179:3, 179:4 179:9, 189:20 treats 147:14 trend 56:18 56:20, 58:3 80:19, 80:22 81:2, 81:19 81:21, 83:4 trends 54:9 tried 46:4, 189:7 trigger 92:2 triggering 126:15 Trinity 138:18 139:2 triple 51:24 true 12:6, 12:13 128:8, 199:4 205:12 truly 199:2 trust 176:3 try 187:13, 188:4 197:25, 200:13 trying 30:7, 35:14 40:9, 92:6 126:17, 149:9 160:21, 180:23 198:21, 198:25 199:13, 203:10 Tuesday 184:16 turn 80:25, 91:8 91:10, 98:24 131:9, 139:4 185:2 TWDB 4:5, 4:6 4:18, 4:20 twice 105:2 two 11:17, 14:6 15:17, 36:2, 44:3 51:18, 52:22 53:2, 53:5, 53:7 53:8, 54:18 56:15, 56:16	56:23, 59:1, 59:1 61:14, 75:4 75:12, 76:23 82:12, 82:14 82:24, 86:15 87:21, 93:13 97:11, 98:8 101:14, 101:15 105:4, 107:11 111:13, 111:18 118:8, 130:1 132:8, 132:23 134:18, 134:19 135:13, 139:21 147:16, 149:13 162:11, 164:8 164:23, 166:25 167:6, 173:24 177:20, 196:20 201:3 two-sided 129:15 two-thirds 85:12 TX 6:3 type 92:13 192:10 types 14:22, 18:9 168:1 typewritten 205:10 typical 45:8 typically 45:9 45:10, 107:6 201:18	41:9, 43:9, 50:14 64:6, 64:9, 66:11 92:12, 96:8 104:3, 105:18 124:11, 126:6 127:21, 128:6 134:22, 143:23 160:20, 160:21 199:15, 199:24 200:18 understanding 20:20, 21:8 28:10, 29:21 37:20, 37:25 39:1, 40:23 63:12, 73:2, 73:3 90:11, 99:22 117:7, 119:23 124:13, 128:12 132:4, 132:10 137:5, 143:24 146:15, 156:15 158:16, 160:18 161:4, 162:23 191:24, 193:9 understood 28:17 150:11, 152:6 193:5, 201:23 undertake 178:21 undertaken 159:17 underway 49:17 unique 43:2, 43:8 95:1 unit 108:22 University 12:18 12:19, 166:17 unofficially 30:20 update 31:16 74:16 updated 54:15 58:18 uphill 93:17 upper 14:4, 56:15 58:12, 75:23 83:21 ups 80:21 upstream 6:6, 6:8 73:22, 75:22 77:12, 77:14 77:15, 93:8 upward 81:2 81:25 upwards 49:2
--	--	--	---	---

usage 91:13 use 4:14, 7:17 7:20, 7:21, 7:22 9:18, 18:2, 27:6 27:7, 27:10 27:18, 27:20 27:22, 27:24 27:25, 28:2, 28:4 28:13, 28:15 30:3, 30:4, 30:5 30:5, 30:6, 30:7 31:4, 32:8, 32:20 32:22, 33:1, 35:7 53:8, 57:6, 58:25 64:18, 66:9 67:12, 67:24 70:5, 71:1, 79:16 84:19, 90:18 91:14, 99:24 102:10, 107:11 109:14, 110:24 111:25, 115:5 115:8, 115:17 118:6, 119:5 119:19, 120:5 120:8, 139:11 145:5, 145:15 145:17, 146:3 147:8, 149:21 150:4, 150:8 151:18, 151:21 152:20, 153:17 153:22, 153:24 171:6, 181:16 181:19, 182:22 185:23, 186:15 190:24, 194:20 195:10, 196:3 199:25 useful 43:19 92:11 user 33:4, 34:15 45:10, 45:21 50:17, 50:22 54:23, 55:25 59:25, 64:17 106:7, 159:14 178:25 user's 30:4, 59:13 users 32:12 32:17, 41:20 45:23, 55:1 64:23, 99:13 99:17, 102:13	129:12, 133:7 133:10, 151:3 182:19, 183:3 185:24, 190:15 190:21, 195:3 uses 50:16, 56:15 69:24, 70:10 149:16, 149:23 151:17, 152:4 194:25, 194:25 USGS 6:3 usually 28:7, 28:8 39:21, 40:1 49:10, 70:12 148:3 utilities 15:22 92:12, 142:14 168:5, 183:16 utility 6:10, 7:7 7:9, 8:3, 61:21 89:17, 107:10 108:16, 119:23 142:18, 142:22 143:4, 143:6 143:11, 143:12 152:24, 155:8 164:21, 168:6 175:10, 186:24 196:7 utility's 110:5 utilize 182:14 184:13 utilized 171:20 172:1, 182:16 194:24, 195:13 Utilolities 4:10 V vaguely 130:11 valid 33:9 valuable 141:14 value 114:20 152:24 variations 45:10 variety 171:6 various 13:21 15:8, 18:3, 20:7 33:1, 35:16, 85:1 99:8, 168:7 177:23, 179:17 vehicle 18:2 version 100:25 161:8	versus 70:9 105:2, 105:6 145:8 vertical 95:6 vertically 76:5 vice-president 13:16, 14:23 167:13 view 160:17 176:21 virtually 76:6 vision 174:21 visits 183:8 185:21 Vista 6:19, 6:20 6:21, 6:22, 42:20 42:23, 43:23 44:14, 45:15 127:3, 127:8 186:2, 187:8 visual 81:20 visually 80:21 volume 9:3, 9:5 9:8, 41:13, 66:9 90:17, 127:24 159:1, 189:13 volumes 154:7 154:10 vulnerability 176:15, 176:22 187:19, 187:19 188:11, 188:16 vulnerable 177:3 187:21 W W'DRWN 8:16 8:17 waffle 164:17 waffles 77:9 Wait 41:11 waiting 203:11 203:13 waived 11:7 walk 162:3 want 32:8, 39:22 40:13, 41:12 45:21, 55:3 56:10, 62:24 97:10, 103:17 121:18, 132:16 140:3, 142:4 150:10, 163:18	163:19, 164:8 185:14, 200:19 201:11, 201:20 203:15 wanted 43:9 52:12, 55:4 88:19, 104:22 117:3, 163:7 184:12, 184:18 196:5, 197:20 wants 162:25 waste 167:7 wastewater 15:21 16:25, 17:1 107:10 watched 196:7 water 2:19, 4:4 4:8, 4:9, 4:18 4:22, 6:10, 6:14 6:20, 6:22, 7:3 7:4, 7:5, 7:6, 7:7 7:9, 7:9, 7:16 7:18, 7:21, 7:22 8:3, 8:5, 8:7, 8:10 8:12, 8:15, 8:16 9:3, 9:4, 9:6, 9:6 9:8, 9:9, 10:17 13:5, 13:8, 13:9 13:10, 13:12 13:22, 14:22 15:9, 15:16 15:21, 15:23 16:19, 16:23 16:24, 17:1 17:10, 17:18 18:11, 19:10 19:16, 19:18 19:22, 20:1, 20:1 20:4, 20:7, 21:14 21:17, 21:21 22:3, 22:7, 23:18 27:3, 27:7, 27:21 27:22, 28:2, 28:6 28:7, 28:13 28:19, 28:21 29:2, 29:9, 29:19 29:20, 30:4 30:12, 30:24 31:9, 31:14 31:19, 32:4, 32:6 32:8, 32:11 32:20, 32:23 32:24, 33:3, 33:7 33:8, 33:12	33:15, 33:16 34:2, 34:10 34:15, 34:24 34:25, 35:7 35:18, 35:21 35:23, 35:24 36:3, 36:7, 36:10 36:13, 36:17 36:23, 37:2, 37:7 37:8, 37:14 38:19, 39:6 39:14, 39:14 39:17, 40:8 42:12, 43:18 44:9, 44:9, 44:17 45:8, 45:8, 45:10 45:11, 45:11 45:12, 45:18 45:20, 45:22 46:1, 46:6, 46:24 47:3, 47:7, 49:2 49:24, 50:6 50:10, 50:14 50:16, 51:1, 51:7 51:9, 51:21 53:11, 53:12 53:13, 53:14 53:21, 54:23 54:24, 55:11 55:25, 56:21 57:12, 59:25 60:3, 61:18 61:20, 61:22 62:7, 62:25, 63:4 67:5, 68:12 68:13, 68:24 69:11, 69:23 70:3, 70:4, 70:14 70:15, 70:22 71:4, 71:8, 71:8 71:10, 73:9, 74:2 74:7, 74:12 74:23, 75:12 80:1, 82:13, 86:9 86:16, 88:18 89:14, 89:17 89:19, 89:21 90:13, 90:19 92:6, 92:7, 92:11 92:11, 92:18 92:21, 93:10 93:12, 93:17 93:24, 96:10 97:16, 97:16
--	--	--	---	---

99:2, 99:14	148:19, 149:3	176:9, 176:18	65:16, 72:10	198:13
99:18, 100:2	149:15, 149:17	176:25, 177:3	75:21, 83:11	west 14:8, 76:15
100:3, 100:3	150:3, 150:8	177:6, 177:6	84:1, 85:13	77:1, 78:23
100:11, 100:24	150:15, 151:7	178:9, 178:16	89:22, 92:11	93:20, 93:21
101:7, 102:12	151:11, 151:12	178:18, 178:22	98:19, 103:11	188:19
103:9, 103:12	151:15, 151:17	178:24, 179:5	104:2, 110:3	wet 84:24, 85:18
103:18, 103:24	151:18, 151:20	179:8, 179:12	110:21, 112:20	Wharton 46:13
104:14, 104:16	151:21, 151:22	179:13, 180:24	113:11, 115:21	116:4, 118:18
105:5, 105:17	151:23, 151:25	181:5, 181:10	118:3, 127:1	WHEREOF
106:11, 106:15	152:2, 152:3	181:10, 181:18	127:2, 132:6	205:14
106:21, 107:10	152:4, 152:9	181:21, 181:22	135:22, 139:1	white 67:11
107:16, 108:13	152:9, 152:18	182:2, 182:10	140:15, 153:2	72:12, 98:13
109:16, 110:23	152:19, 152:25	182:13, 182:16	153:23, 155:6	Wholesale 4:15
111:8, 111:23	153:16, 153:21	183:12, 183:14	156:12, 160:22	wholesaler 32:23
112:8, 112:20	154:1, 154:3	183:16, 183:18	175:9, 175:21	Williamson 4:5
113:1, 113:9	154:12, 154:22	183:19, 183:19	180:3, 187:9	4:7, 4:13, 4:15
113:15, 113:19	155:1, 155:2	183:23, 184:9	199:1, 201:14	4:18, 8:18, 31:9
113:24, 113:25	155:4, 155:5	186:2, 186:3	ways 171:10	32:5, 51:10
114:1, 114:11	155:11, 155:12	186:11, 186:14	198:25	51:15, 51:23
114:14, 115:5	155:21, 156:13	186:16, 186:17	we've 24:9, 58:16	53:5, 54:6, 56:16
115:25, 116:2	156:14, 156:21	186:24, 187:14	65:15, 66:10	57:4, 57:7, 58:23
116:17, 116:22	157:11, 157:18	187:15, 187:18	73:5, 73:8, 79:4	63:17, 64:17
117:8, 117:14	159:13, 159:18	187:24, 188:2	84:12, 85:21	128:21, 129:2
118:2, 118:23	159:23, 160:1	188:4, 188:6	101:19, 108:2	131:17, 132:19
119:24, 120:1	160:11, 161:3	188:22, 188:22	111:19, 120:13	132:19, 133:3
120:3, 121:2	161:12, 163:17	188:23, 188:24	135:21, 136:3	133:11, 137:20
121:5, 126:21	164:15, 164:20	189:3, 189:8	156:6, 161:17	137:25, 138:1
127:5, 127:12	165:6, 165:7	189:13, 189:16	197:22, 198:18	138:2, 139:14
128:20, 129:7	167:4, 167:17	189:18, 190:2	web 74:8, 106:16	176:10, 176:14
129:11, 130:6	168:3, 168:5	190:2, 190:5	website 29:2	178:25, 179:18
130:10, 130:16	168:6, 168:7	190:15, 190:21	43:4, 45:5, 55:24	181:4, 183:13
130:17, 131:20	168:7, 168:8	190:25, 193:1	67:5, 67:6, 84:15	183:14, 183:24
132:18, 133:7	168:11, 168:16	193:12, 193:13	84:19, 86:5, 91:5	184:4, 184:6
133:10, 137:1	169:1, 169:23	193:15, 193:17	93:5, 101:5	184:9, 185:8
137:3, 137:6	169:23, 169:24	193:25, 194:1	week 72:3, 74:16	190:15, 190:21
137:16, 137:18	170:1, 170:4	194:2, 194:2	185:8	192:3, 194:14
137:19, 138:21	170:7, 170:14	194:3, 194:11	weekly 72:3	willing 135:19
139:18, 140:5	170:20, 170:23	194:18, 194:20	weeks 42:23	Wilson 183:8
140:16, 141:1	170:24, 171:2	194:21, 194:23	67:3, 85:9	183:25
141:9, 141:11	171:6, 171:11	195:3, 195:3	161:18	winter 148:2
141:18, 141:22	171:12, 171:14	195:7, 195:9	weigh 152:21	wish 74:25
141:24, 142:1	171:15, 171:18	195:15, 196:7	weighing 202:19	withdraw 191:14
142:6, 142:14	171:19, 171:21	WaterCo 15:15	weird 135:7	withdrawing
142:15, 142:18	171:25, 172:4	15:17	wells 17:12	191:12
142:19, 142:22	172:7, 172:11	watering 33:2	33:22, 38:6	withdrawn 48:9
142:25, 143:3	172:14, 172:23	waterline 196:8	38:10, 44:12	48:12, 82:13
143:17, 143:18	173:3, 173:6	watershed 79:7	182:8, 195:25	187:25
143:19, 144:16	173:10, 173:22	wavy 82:21	went 13:7, 13:13	witness 11:15
145:21, 145:21	173:25, 174:7	85:14	14:16, 29:1	11:17, 121:8
145:22, 145:24	174:9, 174:13	way 14:17, 16:11	81:18, 88:2	123:8, 133:2
146:1, 146:4	174:18, 174:20	30:23, 39:6, 39:9	89:11, 90:5, 92:9	136:15, 136:19
146:7, 147:5	175:7, 175:10	39:15, 43:6	106:16, 113:23	165:18, 165:22
147:8, 147:10	175:13, 175:14	49:21, 57:23	114:12, 145:12	165:24, 166:3
147:18, 147:21	175:18, 175:21	58:2, 60:24, 62:6	166:24, 167:1	197:7, 197:10

205:14 witnesses 4:3 198:17 wonder 110:1 word 30:1, 30:7 94:16, 129:12 157:10 wording 27:2 27:6 words 25:12, 28:6 59:22, 74:19 94:15, 115:5 118:8, 146:3 work 13:6, 13:19 13:21, 14:17 14:18, 15:13 16:3, 19:17 21:13, 21:16 21:20, 21:23 33:24, 99:6 144:9, 154:8 167:2, 167:22 167:24, 168:1 168:4, 180:11 198:7 worked 13:16 46:14, 166:24 167:3, 167:6 167:12, 168:5 176:5 working 13:3 16:2, 17:25, 18:5 21:8, 24:6, 37:22 40:9, 124:14 180:8 works 40:24 60:15, 132:6 153:23, 156:12 163:5, 175:22 worse 34:6, 46:10 71:15, 71:19 73:6, 79:17 86:14, 94:3 95:19, 95:23 97:8, 97:14 97:18, 97:21 98:2, 98:6, 100:5 100:6, 156:8 173:17 worst 66:17 72:21, 73:4, 73:4 73:7, 92:17 98:20, 148:14 173:15	write 184:8 184:12 writing 199:1 written 26:16 26:21, 179:19 wrong 74:16 128:19, 143:25 158:7 WSC 134:8 WSC's 8:14 WUG 54:21 54:22, 54:23 WUG's 4:14, 4:16 WUGs 59:17 129:11, 129:12 131:19, 132:19 Y yeah 30:14, 58:10 76:23, 86:3 111:18, 117:5 121:20, 124:5 125:8, 135:7 135:13, 135:15 140:18, 144:10 150:17, 156:17 158:20, 181:11 184:1, 194:23 195:9, 203:23 year 20:16, 23:2 49:20, 53:4, 53:4 53:6, 58:1, 58:1 58:13, 60:9, 68:2 68:3, 72:4, 72:15 72:22, 73:4, 73:4 81:4, 83:15, 85:8 85:25, 87:1 91:17, 98:23 99:11, 100:23 101:13, 104:17 106:3, 109:15 109:22, 110:16 110:17, 110:18 110:20, 112:9 112:10, 113:13 117:19, 118:7 119:14, 119:15 132:20, 138:16 139:15, 144:7 147:18, 147:19 148:3, 148:14 150:13, 156:16 158:5, 177:14	181:6, 186:20 195:20, 196:9 196:21 year's 157:22 years 14:11 14:21, 15:17 16:7, 30:16 30:16, 30:17 30:22, 30:25 30:25, 31:4 31:14, 34:20 38:16, 39:15 40:1, 40:4, 40:14 41:17, 44:11 46:14, 49:3 49:10, 49:13 49:18, 50:10 50:12, 51:2, 54:1 54:2, 54:16 56:24, 61:8 61:13, 62:3, 63:6 64:22, 64:24 66:13, 72:17 78:4, 90:12 91:24, 97:3 110:7, 110:19 116:13, 119:19 129:6, 132:21 133:13, 146:9 154:12, 166:25 167:6, 167:12 173:2, 174:10 174:16, 174:22 175:15, 175:19 186:23, 187:3 187:3, 187:12 191:1, 194:15 196:14, 200:4 yellow 54:6 67:13, 77:8 79:12, 85:11 85:14, 85:16 86:20 yield 6:16, 34:8 34:11, 34:22 70:20, 70:21 71:11, 71:12 71:13, 71:16 73:21, 92:20 95:10, 97:17 97:17, 97:19 97:22, 97:25 99:12, 99:17 99:20, 99:24	100:7, 100:11 100:15, 100:20 101:2, 101:3 101:9, 101:17 101:23, 102:2 102:8, 111:20 111:21, 114:18 114:23, 115:23 115:25, 118:5 129:24, 138:17 143:22, 143:24 144:8, 145:14 145:15, 145:21 146:3, 146:4 146:10, 146:15 146:16, 146:19 147:6, 147:7 147:13, 147:14 147:17, 147:23 147:23, 149:13 yields 84:1 189:25 young 196:6 Z zero 35:25, 78:2 78:2, 78:5, 79:5 92:20, 111:21 1 1 9:3, 9:8, 170:21 1,113 104:24 1.09 108:2 1.4 101:10 1.8 94:20 1/1/2005-1/1/2014 5:14 1:15 122:5 1:17 122:7, 123:3 10 3:3, 9:3, 9:5 9:7, 9:8, 9:10 54:1, 54:2, 78:2 98:12, 98:15 98:15, 101:23 102:1, 184:15 10,000 119:14 186:23 10:55 80:3 100 7:22, 33:14 40:4, 72:11 91:20, 92:10 154:11, 190:24	100,000 86:6 100-year 30:20 101 8:3, 112:12 102 8:4, 102:18 103 8:5 104 8:7, 114:7 149:10 105 8:9, 135:5 135:13, 136:8 106 8:12, 47:10 47:14, 47:20 47:22, 116:15 107 8:14, 48:9 48:11 108 8:17, 10:5 12:11, 191:8 109 8:18, 185:3 191:7, 191:16 192:11, 192:13 10-minute 197:17 11 3:4, 3:6, 4:3 4:5, 4:7, 4:11 4:12, 4:15, 4:17 4:19, 4:20, 4:22 4:23, 5:3, 5:4, 5:6 5:7, 5:8, 5:10 5:11, 5:13, 5:14 5:15, 5:16, 5:17 5:18, 5:20, 5:21 5:23, 5:24, 6:5 6:7, 6:8, 6:9, 6:11 6:12, 6:15, 6:17 6:22, 7:3, 7:4, 7:5 7:6, 7:8, 7:9, 7:11 7:15, 7:17, 7:18 7:20, 7:21, 7:23 8:3, 8:4, 8:6, 8:8 8:11, 8:13, 8:16 8:17, 8:19 11:12 80:3 110 135:3, 135:23 136:1, 136:25 112 137:23 112,000 59:2 114 74:13 11th 95:3, 95:3 12 89:4, 95:7 98:15, 98:24 98:24, 112:10 169:8, 184:15 12/31/15 205:19 12:07 122:7 120 205:21 121,000 57:7
--	--	--	--	---

60:14, 61:4 123 3:7, 3:8, 3:10 138:5, 138:7 138:11, 138:13 12-page 142:3 12th 204:4 13 20:16 13,000 101:18 131 9:3, 9:5, 9:7 9:8, 9:10 133 139:6, 139:8 134 139:5, 139:9 14 20:16 142 105:7 14th 203:9 205:15 15 31:14, 77:13 97:6, 189:12 15.7 5:19 150 116:5 155 3:10 15th 63:21 16 109:17, 109:21 110:7, 189:12 164 3:11 165,000 60:15 166 3:12 17 4:16, 59:25 170 116:5 1791 205:19 17th 203:25 19 90:8 1900 2:21 192 3:13, 8:19 1937 174:7 1940 73:7, 81:17 83:16, 145:4 1940-2014 5:13 1942 174:12 1945 83:3 1946 101:3, 101:8 101:17 1947 94:14 1950 79:15 1950s 71:2, 94:12 95:2, 97:17 97:19, 100:6 101:2, 101:24 1950's 71:14 1952 94:22, 94:25 95:4, 95:22 170:11 1957 83:3, 94:14 101:3, 101:9	101:17 1960 79:15, 81:1 1968 91:14 166:16, 166:25 1970 82:1 1971 12:18 1974 166:19 167:3 1976 167:9 1977 12:23 1990 80:20, 81:20 81:24, 83:16 1991 12:20 1995 167:16 170:16 1999 167:18 19th 203:20 1st 85:10, 85:12	119:9, 140:13 140:21, 146:12 156:19 2011 4:12, 9:3 9:4, 9:8, 53:11 53:12, 53:19 56:20, 57:21 58:8, 58:13 58:15, 72:22 73:4, 90:5, 90:9 91:18, 98:21 130:9, 130:16 137:2, 140:16 148:14, 156:21 157:1, 158:25 159:9, 159:9 160:5 2011-2013 7:8 7:9 2012 91:19, 101:6 118:15, 118:20 2013 98:22 101:21, 101:22 109:8, 109:15 110:16, 146:12 2014 1:12, 1:17 3:3, 6:4, 6:15 6:19, 6:22, 8:6 10:2, 10:8, 86:20 101:15, 123:2 205:15 2014-10-25 5:20 5:21, 5:23 2015 7:4, 7:6 52:1, 52:6, 52:7 52:10, 52:13 63:6, 63:24 63:24, 64:8, 66:7 99:3, 158:5 158:8, 204:5 2015-2016 7:5 2016 4:8, 4:12 9:6, 9:9, 53:17 53:20, 56:19 57:6, 57:7, 57:22 58:7, 58:25 157:13, 157:25 158:1, 158:5 158:9, 158:10 164:14, 164:16 165:6 2020 51:21, 52:1 52:6, 52:8, 52:9 52:10, 52:14	56:2, 57:4, 57:5 58:23, 58:24 60:7, 60:14, 61:2 61:3, 63:6, 63:24 64:8, 140:13 140:21 2020-2070 4:9 2027 165:7 2030 117:13 117:15, 132:20 132:22, 133:13 133:24 204 3:14 2045 64:1, 64:1 66:8 205 3:15 2050 64:1, 118:20 119:10, 139:14 141:1 2060 58:1, 58:13 118:20, 119:10 132:20, 132:22 133:13, 139:14 2070 4:16, 51:22 53:4, 53:6, 56:2 58:1, 58:2, 59:18 60:1, 60:7, 61:2 61:3, 65:17 128:21 2080 117:19 118:7 2100 2:5, 8:10 212 140:9 217 141:25 22 6:22, 8:12 117:4, 117:5 2200 2:15 226 2:9 228,000 59:2 24 95:7, 108:3 246,849 52:15 25 6:15, 6:19 18:13, 117:21 117:22 250 22:14, 23:20 180:17 276 205:20 283,000 115:7 290 7:11 291,000 57:7	169:9, 169:13 3,397 134:1 3.42 104:16 104:19, 104:20 105:20, 105:25 106:3, 108:2 113:2 3.60 108:6 3.66 107:24 107:24, 108:3 3:03 198:11 3:14 198:11 3:27 204:15 30 18:13, 30:15 31:4, 39:15, 40:1 40:14, 44:11 49:10, 49:18 66:13, 75:14 77:11, 110:19 121:15, 121:17 187:3, 200:4 300 110:2 300,000 59:10 30s 15:4 30-year 27:4, 27:8 27:10, 28:21 28:25, 66:6 66:12, 120:8 120:11, 182:22 31 101:22 31,510 65:2 65:12, 66:1 317,000 115:20 31st 49:20 32 75:15 32.3 5:22 33 75:15, 118:9 118:11, 118:11 118:17 339,704 64:8 34,000 61:11 340,000 59:2 64:20 35,000 139:15 35.6 5:21 350 89:22 36 105:9, 105:13 118:25, 119:3 150:8 39,000 61:11
	2			
	2 9:5, 24:7, 25:5 25:22, 26:5 82:20, 85:6 95:16, 112:11 169:5, 169:13 201:22 2,000 62:3 195:20 2,239 104:24 2.33 108:1 20 17:12, 59:17 97:6, 167:12 175:19 2000 8:10, 53:4 53:6, 72:4, 81:4 90:8 2001 91:16, 91:25 2002 91:18 2003 91:25 2005 83:15 2006 57:20, 57:21 2007 101:20 2008 17:20, 17:22 18:6, 73:24 82:25, 83:21 84:2, 94:18 167:20, 167:20 172:15, 172:22 2010 8:12, 52:8 52:8, 72:15 83:23, 83:23 100:23, 116:18 118:13, 118:15			
			3	4
			3 25:22, 26:5	4 6:4, 12:24, 78:7

90:10, 151:20 152:1, 152:3 152:3 4.11 140:22 4.35 113:2 40 8:10, 30:15 39:15, 40:1 49:10, 75:14 400,000 59:10 148:15 401 2:15 40s 70:25, 173:18 410,000 57:9 102:3 411 140:10 42 37:22, 37:23 123:25, 124:9 124:9, 124:13 431,982 101:17 432,191 101:23 445 101:18 445,000 102:6 114:19, 115:23 445,266 101:4 45 75:22 45,000 199:25 200:1, 200:4 450 66:14 451,000 66:14 46 37:22, 37:24 41:13, 70:25 123:25, 124:13 144:5, 144:6 46,000 7:10, 22:3 32:2, 39:14, 40:7 41:7, 65:8, 105:6 110:19, 119:20 120:9, 120:12 120:21, 121:3 150:13, 151:4 152:7, 153:2 162:24, 181:25 182:9, 183:23 184:5 47 4:5, 4:7, 4:11 4:12, 4:15, 4:17 4:19, 4:20, 4:22 4:23, 5:3, 5:4, 5:6 5:7, 5:8, 5:10 5:11, 5:13, 5:14 5:15, 5:16, 5:17 5:18, 5:20, 5:21 5:23, 5:24, 6:5 6:7, 6:8, 6:9, 6:11	6:12, 6:15, 6:17 6:22, 7:3, 7:4, 7:5 7:6, 7:8, 7:9, 7:11 7:15, 7:17, 7:18 7:20, 7:21, 7:23 8:3, 8:4, 8:6, 8:8 8:11, 8:13 115:19 48 4:3, 144:4 4A-1 131:24 4A-9 131:10 4B.15.1.1 139:9 4B-5.5.2.1 138:15 4C.39-1 137:1 5 5 9:3, 9:18, 10:6 27:10, 28:21 28:25, 130:15 130:24, 130:25 131:2, 131:2 131:6, 131:7 133:1 5,000 74:14 119:14 5.7 125:8 50 30:16, 30:17 31:3, 49:2, 49:13 50:12, 61:7 61:12, 62:3, 76:6 116:13, 153:24 187:3 50,000 105:5 128:2, 149:17 186:14, 186:17 186:20, 186:21 50s 70:25, 79:17 173:19 50-year 49:15 49:23, 51:25 54:3, 60:4 51 4:3, 10:4, 12:7 12:11, 12:14 12:24, 25:21 25:23, 26:5 47:24, 48:5, 48:7 168:23, 169:5 169:9, 169:13 510,000 115:8 115:13 512.212.1423 2:10 512.322.5872	2:22 512.472.0532 2:22 512.474.2233 205:22 512.480.5688 2:16 512.480.5888 2:16 512.495.6074 2:6 512.505.6374 2:6 52 4:4, 47:10 47:14, 47:20 47:21, 51:12 51:14 53 4:6, 52:19 52:21, 54:21 54 4:8, 55:14 55:15, 55:20 128:17 54,390 138:16 139:1 55 4:12, 30:17 55:14, 55:15 56:7, 56:10 129:3 55-year 49:23 56 4:13, 55:14 55:15, 56:7 57:14, 95:7 57 4:16, 59:15 70:25, 144:4 144:5, 144:6 57-60 8:5 58 4:18, 63:8 129:3 59 4:20, 128:17 128:23 5-year 27:3, 27:8 6 6 5:4, 5:5, 5:7, 9:4 78:18, 78:20 79:1, 79:2, 79:6 80:12, 82:2 138:9, 138:10 138:11, 139:4 6,000 101:12 6.13 107:22 60 4:21, 51:23 66:23, 66:25 67:2, 108:8 174:9	600 2:5, 97:7 600,000 86:11 86:16, 87:2, 97:1 98:4, 98:23, 99:4 99:11, 114:23 114:25, 115:12 115:16, 117:17 118:2, 118:3 118:6 61 4:23, 71:23 71:24, 72:1 62 5:3, 71:23 74:4 63 5:4, 78:25 79:1, 79:9, 79:19 64 5:5, 79:1, 79:2 80:11 640,000 86:24 65 5:7, 79:2 80:11, 81:1, 95:7 66 5:8, 78:13 131:25 67 5:9, 81:11 81:18 68 5:11, 81:11 81:23 69 5:12, 82:8 82:10, 82:18 83:13, 131:14 132:17 7 7 1:12, 3:3, 9:6 10:2, 10:8 107:25, 123:2 164:9, 164:10 70 5:14, 51:23 83:10, 83:14 83:20, 84:5 174:9, 174:22 70s 13:5 71 5:15, 84:5 84:6 72 5:16, 82:8 84:6 73 5:17, 84:14 74 5:18, 60:13 75 5:19 76 5:21 77 5:22 78 5:24, 132:25 7800 205:21 78701 2:5, 2:10	2:16, 2:21 78750 205:21 79 6:3, 87:12 87:12, 87:18 7th 1:17 8 8 9:8, 140:8 140:16 80 6:6, 72:23 800 159:1, 159:2 804 1:19 81 6:8 815-A 2:9 816 2:21 82 6:9 83 6:10, 94:6 94:10 84 6:12 85 6:13, 96:3 96:10 86 6:16, 66:23 100:13, 100:18 87 6:18, 102:17 103:1 88 7:3, 72:23 73:1, 106:11 107:17 89 7:4 89,975 115:15 9 9 9:9, 10:6, 62:4 131:2, 131:3 131:6, 131:7 165:4 9:00 1:16, 10:3 90 7:5, 72:16 91 7:6 92 7:7 93 7:9, 135:5 135:14, 135:16 136:8 94 7:10 95 7:12, 109:6 952-13-5210 1:1 10:10 96 7:16 97 7:18, 110:13 110:14 98 7:19, 110:13 110:13, 112:6
---	--	--	--	--

99 7:21, 147:22 147:24 9th 204:5				
--	--	--	--	--