

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

SOAH DOCKET NO. 952-13-5210

LOST PINES GROUNDWATER CONSERVATION DISTRICT

APPLICATION OF END OP, L.P.) STATE OFFICE OF
FOR WELL REGISTRATION,)
OPERATING PERMITS, AND)
TRANSFER PERMITS) ADMINISTRATIVE HEARINGS

HEARING ON REMAND

Friday, November 7, 2014

BE IT REMEMBERED THAT at 9:00 a.m., on
Friday, the 7th day of November, 2014, the
above-entitled matter came on for hearing at the
Bastrop County Courthouse Annex, 804 Pecan Street,
Bastrop, Texas; before MICHAEL O'MALLEY,
Administrative Law Judge, and the following
proceedings were reported by Lou Ray, Certified
Shorthand Reporter.

1 APPEARANCES

2
3 FOR THE APPLICANT:

4 Mr. Russell S. Johnson
5 MCGINNIS LOCHRIDGE & KILGORE, LLP
6 600 Congress Avenue, Suite 2100
7 Austin, Texas 78701
8 Telephone: 512.495.6074 - Fax: 512.505.6374
9 email: rjohnson@mcginnislaw.com

10 -- AND --

11 Ms. Stacey V. Reese
12 STACEY V. REESE LAW, PLLC
13 815-A Brazos Street, PMB 226
14 Austin, Texas 78701
15 Telephone: 512.212.1423
16 email: stacey@reeselawpractice.com

17 FOR LOST PINES GROUNDWATER CONSERVATION DISTRICT GENERAL
18 MANAGER:

19 Ms. Robin A. Melvin
20 Mr. David P. Lein
21 GRAVES DOUGHERTY HEARON & MOODY
22 401 Congress Avenue, Suite 2200
23 Austin, Texas 78701
24 Telephone: 512.480.5688 - Fax: 512.480.5888
25 email: rmelvin@gdhm.com
dlein@gdhm.com

FOR AQUA WATER SUPPLY CORPORATION:

Mr. Michael A. Gershon
LLOYD GOSSELINK ROCHELLE & TOWNSEND, PC
816 Congress Avenue, Suite 1900
Austin, Texas 78701
Telephone: 512.322.5872 - Fax: 512.472.0532
email: mgershon@lglawfirm.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TABLE OF CONTENTS

	PAGE
PROCEEDINGS, FRIDAY, NOVEMBER 7, 2014	10
PRESENTATION ON BEHALF OF APPLICANT END OP, L.P.	11
PAUL D. THORNHILL	
- Direct (Reese)	11
AFTERNOON SESSION	123
PRESENTATION ON BEHALF OF APPLICANT END OP, L.P. (CONTINUED)	123
PAUL D. THORNHILL	
- Cross (Melvin)	123
- Redirect (Reese)	155
- Recross (Melvin)	164
JOSEPH J. BEAL	
- Direct (Johnson)	166
- Cross (Melvin)	192
PROCEEDINGS CONCLUDED	204
REPORTER'S CERTIFICATE	205

EXHIBIT INDEX

2	APPLICANT - END OP, LP	MARKED	ADMITTED
3	51. Applicant End Op, L.P.'s designation of Expert Witnesses	11	48
4	52. Immediate Need for Water - TWDB Population Projections - Travis and Williamson Counties	11	47
6	53. TWDB population projections Travis and Williamson Counties Portions Only	11	47
8	54. 2016 Regional Water Plan, Municipal Water Demand Projections for 2020-2070 in acre-feet for Cities, Utilities and County Other by Region, County and River Basin	11	47
12	55. Total Demand by County from 2011 and 2016 Planning Projections	11	47
13	56. Travis and Williamson Counties Municipal Demand Municipal Use - WUG's in Travis and Williamson Counties with Wholesale Customers	11	47
16	57. Top 17 WUG's Ranked by 2070 Demand	11	47
18	58. TWDB Projections of Water Demand in Travis and Williamson Counties	11	47
19	59. TWDB Bastrop and Lee County Demand Projections	11	47
21	60. Drought Impact on Texas Surface Water	11	47
22	61. Texas Drought per Drought Monitor	11	47
24			
25			

EXHIBIT INDEX			
	APPLICANT - END OP, LP	MARKED	ADMITTED
3	62. Texas map showing Lake Capacities	11	47
4	63. Texas, Climate Division 6, PDSI, January-December	11	47
5	64. Texas Climate Division 6, Precipitation, January-December	11	47
7	65. Texas Climate Division 6, Maximum Temperature, January-December	11	47
8	66. U.S. Climatological Divisions	11	47
9	67. Austin, Texas Precipitation, January-December	11	47
10	67. Austin, Texas Precipitation, January-December	11	47
11	68. Austin, Texas Average Temperature, January-December Climate at a Glance	11	47
12	69. Total Combined Storage in Lakes Buchanan and Travis (1940-2014)	11	47
13	69. Total Combined Storage in Lakes Buchanan and Travis (1940-2014)	11	47
14	70. Combined Storage of Lakes Buchanan and Travis (1/1/2005-1/1/2014)	11	47
15	71. Daily Lake Buchanan Elevations	11	47
16	72. Daily Lake Travis Elevations	11	47
17	73. Highland Lakes Storage (LCRA Plot)	11	47
18	74. Colorado River Basin Reservoirs	11	47
19	75. O.H. Ivie Reservoir is 15.7% full as of 2014-10-25	11	47
20	75. O.H. Ivie Reservoir is 15.7% full as of 2014-10-25	11	47
21	76. Lake Buchanan is 35.6% full as of 2014-10-25	11	47
22	77. Lake Travis is 32.3% full as of 2014-10-25	11	47
23	77. Lake Travis is 32.3% full as of 2014-10-25	11	47
24	78. Spence/Thomas/Fisher/Twin Buttes Storage	11	47
25	78. Spence/Thomas/Fisher/Twin Buttes Storage	11	47

EXHIBIT INDEX		MARKED	ADMITTED
APPLICANT - END OP, LP			
79.	USGS Lake Meredith nr Sanford, TX - lake elevation plot Drought and Groundwater AARO Presentation June 4, 2014 CRMWA/Lake Meredith Facts Lake Meredith Photo	11	47
80.	Major Reservoirs Upstream of Lake Buchanan	11	47
81.	Reservoirs Upstream of Lake Buchanan	11	47
82.	Colorado River nr San Saba, Texas	11	47
83.	Austin Water Utility Dates (plot of Highland Lake Inflows)	11	47
84.	Cumulative Inflows to Lakes Buchanan and Travis	11	47
85.	Modeling Drought Response Strategies (Richard Hoffpauir study for Austin Water Resources Planning Task Force, June 25, 2014)	11	47
86.	Change in Reservoir Firm Yield due to Ongoing Drought	11	47
87.	Draft Comparison of SAWS/Vista Ridge to COA/Recharge Vista Ridge Project SAWS July 25, 2014 Vista Ridge Regional Supply Project Water Transmission and Purchase Agreement between SAWS and Abengoa Vista Ridge Vista Ridge Water Supply Contract SAWS September 22, 2014	11	47

EXHIBIT INDEX			
	APPLICANT - END OP, LP	MARKED	ADMITTED
1			
2			
3	88. Estimates of Cost of Water	11	47
4	89. Cedar Park FY 2015 Water Costs	11	47
5	90. Round Rock FY 2015-2016 Water Costs	11	47
6	91. Leander FY 2015 Water Costs	11	47
7	92. City of Austin Water Utility Budget 2011-2013	11	47
8	93. City of Austin Water Utility Budget 2011-2013 and Water Sales	11	47
9	94. Cost Summary, 46,000 ac-ft/yr to COA Tank on Hwy 290 Using Original Route	11	47
10	95. Potential Budget Impact to Austin of Using Groundwater Potential Budget Impact to Austin of Using Groundwater (expanded) Official Statement (source document)	11	47
11	96. City of Austin Water Cost if Use Groundwater	11	47
12	97. City of Austin Water Cost Without and With Groundwater	11	47
13	98. City of Austin Percentage Rate Increase Above Projected Rates if Use Groundwater	11	47
14	99. City of Austin Water Use	11	47
15	100. City of Austin Water Use with End Op and LCRA overlay	11	47
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

EXHIBIT INDEX		MARKED ADMITTED	
APPLICANT - END OP, LP			
101. Austin Total Water Utility Costs/1000 Gal	11	47	
102. City of Austin Treatment Cost	11	47	
103. Water Supply (pages 57-60 of LCRA's August 2014 Board meeting agenda book)	11	47	
104. Does LCRA have water to sell today?	11	47	
105. LCRA's Projected Supplies, Commitments, Demands (from 2000 to 2100) (page 40 from LCRA Water Supply Resources Plan)	11	47	
106. LCRA's Water Suppl Resources Plan October 2010 (page 22- Supplies to Meet Future Demands)	11	47	
107. Aqua WSC's Portion of projected Future Water Demands in Bastrop County About Aqua Water Supply Aqua Service Area Map	11		W' DRWN
108. "By the Numbers"	11		W' DRWN
109. Williamson County Commissioners Court Resolution	11	192	

EXHIBIT INDEX

		MARKED	ADMITTED
1			
2	GM - LPGCD GENERAL MANAGER		
3	*5. 2011 Brazos G. Regional Water Plan, Volume 1 Excerpts	10	131
4			
5	6. 2011 Brazos G Regional Water Plan, Volume 2 Excerpts	10	131
6			
7	7. 2016 Brazos G Regional Water Plan Municipal Water Demand Projection	10	131
8			
9	8. 2011 Region K Water Plan Volume 1 Excerpts	10	131
10			
11	9. 2016 Region K Muni Water Demand Projections	10	131
12			
13			
14			
15			
16			
17			
18	* There is a duplication of the use of the number 5		
19	between the Hearing on the Merits and the Hearing		
20	on Remand		
21			
22			
23			
24			
25			

1 P R O C E E D I N G S

2 FRIDAY, NOVEMBER 7, 2014

3 (9:00 a.m.)

4 (Exhibit Applicant End Op Nos. 51 through
5 108 marked)

6 (Exhibit GM Nos. 5 through 9 marked)

7 JUDGE O'MALLEY: Good morning. Today is
8 Friday, November 7, 2014. We're in Bastrop, Texas.

9 We're here today for the remand hearing in Docket

10 No. 952-13-5210, Application of End Op, LP, for Well

11 Registration, Operating Permits and Transfer Permits.

12 My name is Michael O'Malley. I'll be the
13 Administrative Law Judge presiding, and I'll take
14 appearances of the parties. Let me begin to my left
15 here, and we'll just go down the tables.16 MR. GERSHON: Yes, Mike Gershon with the
17 law firm of Lloyd-Gosselink on behalf of Aqua Water
18 Supply Corporation.

19 JUDGE O'MALLEY: Thank you.

20 MR. LEIN: David Lein and Robin Melvin
21 from Graves Dougherty Hearon & Moody on behalf of the
22 Lost Pines General Manager.

23 JUDGE O'MALLEY: Thank you.

24 MS. REESE: Stacey Reese with Stacey V.
25 Reese Law, PLLC, and my Co-Counsel Russell Johnson of

1 McGinnis Lochridge --

2 JUDGE O'MALLEY: Thank you.

3 MS. REESE: -- on behalf of the applicant.

4 JUDGE O'MALLEY: Let's go off the record.

5 (Discussion off the record)

6 JUDGE O'MALLEY: Okay. Off the record the
7 parties indicated that they waived opening statements.

8 Is that correct?

9 MR. LEIN: That's correct.

10 JUDGE O'MALLEY: And we're ready to move
11 to evidence. So we will begin with End Op and your
12 direct case.

13 MS. REESE: Your Honor, End Op calls
14 Mr. Paul Thornhill.

15 (Witness Thornhill sworn)

16 JUDGE O'MALLEY: Please be seated.

17 WITNESS THORNHILL: Test one, two, three.

18 (Laughter)

19 JUDGE O'MALLEY: Go ahead, Ms. Reese.

20 PRESENTATION ON BEHALF OF THE APPLICANT

21 PAUL THORNHILL,

22 having been first duly sworn, testified as follows:

23 DIRECT EXAMINATION

24 BY MS. REESE:

25 Q Mr. Thornhill, please state your full name for

1 the record.

2 A Paul D. Thornhill.

3 Q Do you have any relation -- are you related to
4 Mr. Mike Thornhill of Thornhill Consulting, Inc.?

5 A Not at all. A mere coincidence.

6 Q Is a true and correct copy of your CV in
7 Exhibit 51?

8 A I do not have the exhibit.

9 MS. REESE: One second, please. Let the
10 record reflect that I've handed Mr. Thornhill End Op's
11 exhibit binder with Exhibits 51 through 108 and also a
12 copy of the GM exhibit binder.

13 Q (BY MS. REESE) Is this a true and correct copy
14 of your CV, Mr. Thornhill, contained within Exhibit 51?

15 A Yes.

16 Q Tell us about your degrees and licenses?

17 A I received a bachelor of science in civil
18 engineering from University of Texas at Austin in 1971,
19 I received an MBA from the University of Texas at Austin
20 in 1991, and I'm a registered professional engineer in
21 the State of Texas.

22 Q When did you obtain your engineering license?

23 A About 1977.

24 Q If you look on Page 4 of Exhibit 51 where your
25 CV is, does that list your employment history?

1 A Yes.

2 Q And so you've had quite a bit of experience
3 working as an engineer throughout your career. Why
4 don't you tell us about your experience at the Texas
5 Water Rights Commission back in the '70s. What was the
6 nature of your work there?

7 A When I first got out of school, I went to the
8 Water Rights Commission, which is the predecessor to the
9 current TCEQ. My main function was to perform water
10 availability analyses for surface water supply permit
11 applications and also to perform dam safety analyses.

12 Q What is Espey? After you left the Texas Water
13 Rights Commission, you went to Espey. What is that?

14 A Espey, Huston & Associates was a mid-size
15 engineering firm that eventually had nationwide offices.
16 I worked there as an engineer then as a vice-president.
17 When I left, basic consulting for public and private
18 clients.

19 Q What was the nature of the work that you did
20 while you were there?

21 A Me personally, I continued to work on various
22 water resource projects for public and private clients.
23 I was also a part of the management team managing the
24 firm.

25 Q Did you conduct any reservoir feasibility

1 studies during your time there?

2 A Yes, I did.

3 Q Did that includes a project for the
4 Guadalupe-Blanco River Authority and the Upper Guadalupe
5 River Authority?

6 A Yes, those were two of our clients.

7 Q And they are located in what part of Texas?

8 A The Guadalupe River Basin, the next basin west
9 of here. Both of them are in that basin.

10 Q In connection with conducting your engineering
11 services and studies over the years, did you regularly
12 publish reports that were relied upon by your clients
13 and used in proceedings similar to today's?

14 A Yes.

15 Q Tell us about your experience at LCRA. After
16 you left Espey, you went to CH2M and then -- which, by
17 the way, what was your work like at CH2M? Similar to
18 the work at Espey?

19 A Yes, CH2M Hill was a much larger national and
20 now international consulting firm. I was there for
21 about nine years as I recall, again performing basic
22 water types of projects myself, as well as participating
23 in the management of the firm. I was a vice-president
24 there, too.

25 Q And then you moved on to LCRA, the Lower

1 Colorado River Authority. Could you tell us what LCRA
2 is or does?

3 A LCRA is an entity created by the state
4 Legislature back in the '30s. They essentially manage
5 all the Highland Lakes, including the dam that creates
6 Lake Austin, which they don't own but they operate for
7 the City of Austin. They also generate electricity,
8 perform various transmission services for electric
9 transmission, manage parks, do water quality sorts of
10 things.

11 Q And it looks like you moved up the ranks at
12 LCRA. Tell us briefly the positions that you held there
13 and the nature of your work there.

14 A I was -- when I first came in, I was chief
15 engineer of what was called WaterCo at the time, which
16 was the entire water side of LCRA. I was promoted to
17 the manager of WaterCo, about two years later is my
18 recollection, which was essentially the responsibility
19 for all the staff and all the facilities of all the
20 Highland Lakes, all the hydroelectric generation, all
21 the irrigation districts, all the water and wastewater
22 utilities. I'm sure I left something out, but it was
23 basically the entire water side of LCRA.

24 Q And who was your boss when you were at LCRA?

25 A I reported directly to Mr. Beal, Joe Beal, who

1 is sitting here.

2 Q When you were working at LCRA, did you -- did
3 the nature of your work include experience -- any
4 experience in rates or establishing rates?

5 A Yes.

6 Q What about risk management?

7 A Yes. The final couple of years I was the chief
8 risk officer for all of LCRA, including the electrical
9 generation and transmission.

10 Q And what does that mean, "risk officer"?

11 A Essentially, the way I interpreted it and the
12 function I performed, was to look at all the activities
13 of the organization, cause there to be an evaluation of
14 the risks that those activities faced, and then to
15 develop or implement plans to ameliorate those risks as
16 best we could, everything from rate risk to chance of a
17 power plant catching on fire.

18 Q During your time at LCRA, did you negotiate
19 water supply contracts and particularly a contract with
20 SAWS?

21 A Yes.

22 Q And tell us what SAWS is.

23 A SAWS is the -- San Antonio Water System is the
24 acronym. They essentially provide all of the water and
25 wastewater services or -- I assume it's all. It might

1 be just predominant share of water and wastewater
2 services -- to San Antonio in the Bexar County area.

3 Q Did you participate in the negotiation of any
4 groundwater rights during your time at LCRA?

5 A Yes, we purchased a couple of very significant
6 groundwater rights.

7 Q Did you -- were you involved in negotiating the
8 details --

9 A Excuse me. Excuse me. You said "groundwater."
10 I'm sorry. I was thinking of surface water. I did
11 participate in the purchase of a groundwater option to
12 drill 20 wells on the property of Pierce Ranch. That
13 was -- as far as I know, that was the only groundwater
14 purchase that I was directly involved in.

15 Q Thank you for clarifying for the record.

16 Did you -- were you involved in
17 negotiating any deals with the City of Austin for a
18 long-term water supply?

19 A Yes, I was.

20 Q So you retired from LCRA back in 2008.
21 Correct?

22 A Yes, August of 2008.

23 Q And what have you been doing since you -- since
24 you retired?

25 A Well, besides working in my garden, I have

1 created an engineering company called Paul Thornhill
2 Engineering, and I use that as the vehicle to perform
3 various consulting assignments. When people approach me
4 and ask me to be involved in projects, I evaluate them
5 and decide whether I will. So I've been working part
6 time basically since 2008.

7 Q Have you ever given expert testimony?

8 A Yes, I have.

9 Q And in what types of proceedings and what was
10 the nature of your testimony?

11 A When I was at the Water Rights Commission is
12 the first time I ever gave testimony. I probably
13 testified in -- I don't know -- 25 or 30. I guess they
14 were similar to what we're doing today, but they were
15 directly in front of the Commission in those days. They
16 were -- when someone asked for a permit, there would be
17 a hearing in front of the three Commissioners. I
18 testified on behalf of the staff, the Executive
19 Director.

20 When I left there and began consulting, I
21 was -- as a result of the studies I was doing, I was
22 asked to sometimes defend those studies in an
23 administrative proceeding or a court. So I testified in
24 federal court a couple of times. I think it's state
25 district court in Kerrville. I'm not sure of the title

1 of that court, and I would guess probably -- I don't
2 know -- a half dozen times.

3 Q Have you testified before the Texas
4 Legislature?

5 A Yes, in the form of either the Senate or House
6 Natural Resources Committee. I can't remember which.
7 Maybe both. I testified regarding aquifer storage and
8 recovery as a technology that Texas should consider.

9 Q And have you been an expert -- admitted as an
10 expert in a court of law on surface water?

11 A Yes.

12 Q Have you been admitted as an expert in a court
13 of law on groundwater?

14 A Yes.

15 Q Given your education, your prior employment,
16 particularly at LCRA, and the Texas Water Rights
17 Commission and your recent resulting work, do you
18 consider yourself to be an expert in the Texas water
19 resources industry?

20 A Yes, I do.

21 Q Do you consider yourself to be an expert in
22 long- and short-term water supply planning, evaluations
23 and permitting?

24 A Yes.

25 Q Do you consider yourself to be an expert in

1 water feasibility studies, water supplies and project
2 management?

3 A Yes.

4 Q What about water supply contract negotiations?

5 A Also.

6 Q Do you consider yourself to be an expert in the
7 cost of various regional water supplies?

8 A Yes.

9 Q Is the expertise in this industry the reason
10 you were retained as an outside consultant in connection
11 with the End Op project?

12 A I believe so.

13 Q And tell us when you were engaged on the End Op
14 project.

15 A It's my recollection that last fall, about a
16 year ago, maybe 13 or 14 months ago, I was approached by
17 some folks with an entity called Cap Rock to perform due
18 diligence as they considered participating in some form
19 in the End Op project. That was it.

20 Q Was it your understanding that the Cap Rock
21 group was interested in becoming an investor in the End
22 Op project?

23 A Not until much later, and I've never been asked
24 to be an investor. They asked me would I be interested
25 in being a participant once they had make the decision

1 to go ahead and invest in the project.

2 Q I asked you a slightly different question,
3 Mr. Thornhill. I was -- I was asking you what was the
4 purpose of Cap Rock engaging you? Was it to evaluate
5 the feasibility of the project because they were
6 considering becoming an investor in End Op?

7 A I'm sorry. Yes, they -- that was my
8 understanding. I was working specifically for -- it was
9 called Cap Rock. I understand that to be a group of
10 investors. I don't know much about the details of what
11 they are.

12 Q Okay. So you said that you conducted some due
13 diligence. Did that work involve identifying potential
14 buyers of the End Op water?

15 A Yes.

16 Q Did that work involve analyses of how much it
17 would cost End Op to provide delivered water making
18 certain assumptions?

19 A I'm sorry, could you repeat the question?

20 Q Sure. Did that work involve evaluating the
21 cost for End Op to deliver water?

22 A Yes.

23 Q Did your work involve the analysis of the
24 availability of the groundwater in the Simsboro?

25 A Yes.

1 Q And why did you study that?

2 A In order to understand was there sufficient
3 water to supply the 46,000 acre-feet that's subject to
4 this hearing.

5 Q And what did you conclude when you evaluated
6 the availability of the groundwater in the Simsboro?

7 A That there is a lot of water under Lee and
8 Bastrop counties within this district and much more than
9 what we were requesting or the sum of all the other
10 requests that have been received.

11 Q How were you compensated during this due
12 diligence period when Cap Rock engaged you?

13 A In the due diligence period, I had an
14 arrangement where I was paid \$250 plus expenses for my
15 activities.

16 Q And ultimately did Cap Rock decide to invest in
17 the End Op project?

18 A Yes.

19 Q And what was your role in the project once they
20 became an investor?

21 A They asked me to continue to consult with them,
22 to continue to be a part of the project, and also began
23 asking me would I be interested in participating in the
24 project.

25 Q Okay. How have you been compensated and by

1 whom since you completed your due diligence?

2 A Beginning in about March of this year, the
3 checks that I received in payment have been from an
4 entity called End Op, so I'm assuming I'm being paid by
5 End Op.

6 Q And you had testified earlier that March was
7 around the period of time in which you completed your
8 due diligence?

9 A Yes. I mean, I think that's the time that the
10 actual purchase by Cap Rock into the End Op project
11 occurred, and after that we moved forward as End Op, not
12 Cap Rock.

13 Q And what was the purpose of you continuing on
14 after you completed the due diligence?

15 A In essence the -- I would summarize it as a
16 continuing need to perform evaluations, to answer
17 questions, to basically point it towards being able to
18 market this water if permits were achieved.

19 Q And are you continuing to be compensated at
20 \$250 an hour by End Op?

21 A Yes.

22 Q Have you received any other compensation in
23 connection with your outside consulting role?

24 A No.

25 Q Have you been offered any other compensation in

1 connection with your outside consulting role?

2 A Yes.

3 Q And what is that?

4 A About June, May or June is my recollection, the
5 partners of -- or what I call the partners, the group of
6 individuals that I'm working with, asked if I would be
7 interested in a participatory share of 2 percent of some
8 part of the project. I'm not sure exactly what the
9 details would be. We've talked about it back and forth.
10 But as we sit here today, that has not been consummated.
11 I've not agreed to it. And, frankly, I'm not sure what
12 the offer is.

13 Q All right. Are you taking on any other role
14 other than as an outside consultant for End Op?

15 A Yes.

16 Q And what is that role?

17 A They've asked me to fill the position of chief
18 executive officer for a -- doing business as business
19 extension of End Op, which is called Recharge, and I've
20 agreed to that. So in addition to my engineering firm
21 today, I am the CEO of an organization called Recharge.

22 Q And approximately when did you become the CEO
23 of Recharge?

24 A About a month ago.

25 Q And how are you being compensated in your role

1 as CEO?

2 A No different. There is no special
3 compensation. I continue to bill the hourly rate that I
4 previously had, and we're -- I assume that we'll
5 continue to talk about the 2 percent participation, and
6 that's all as far as I know.

7 Q Okay. Is the offer to have an interest in the
8 project, other than as an outside consultant on an
9 hourly basis or in your role as CEO of Recharge,
10 contingent upon your testimony here today?

11 A No.

12 Q So in other words, End Op didn't say they would
13 revoke this offer of interest if you didn't testify in a
14 certain manner today?

15 A Correct; they did not.

16 Q Is this expertise that you've testified to, is
17 this the expertise that you rely on to provide your
18 testimony here today?

19 A Yes.

20 Q And the subject matters and the specifics of
21 your testimony, are they outlined in Exhibit 51,
22 specifically Paragraphs 2 and 3 under the designation of
23 experts of Exhibit 51?

24 A Yes.

25 Q Okay. So these are the -- the topics that you

1 intend to give opinions on today. Correct?

2 A Yes.

3 MS. REESE: Your Honor, End Op tenders
4 Mr. Thornhill as an expert on the matters identified in
5 Paragraphs 2 and 3 on Exhibit 51.

6 JUDGE O'MALLEY: Are there any objections
7 to Mr. Thornhill being designated as an expert?

8 MR. LEIN: No, Your Honor.

9 JUDGE O'MALLEY: Okay. Mr. Thornhill will
10 be so designated.

11 Q (BY MS. REESE) Did you prepare a report in
12 connection with your testimony today?

13 A No, I did not.

14 Q Why not?

15 A There simply wasn't time.

16 Q Did you prepare a written report in connection
17 with the due diligence that you conducted on the End Op
18 project?

19 A No, I did not.

20 Q I think it would be helpful for the court,
21 because you didn't provide a written report, for us to
22 do a quick overview of the opinions that you intend to
23 provide today. Is that okay with you?

24 A Yes.

25 Q As you understand it, Mr. Thornhill, what are

1 the issues on remand in this proceeding?

2 A The -- I forget the exact wording, but it's
3 basically the need for additional water over a 5-year
4 period and a 30-year period.

5 Q And actually it's --

6 A I guess the wording is beneficial use is what
7 I'm remembering, the beneficial use for water over the
8 5-year period and the 30-year period.

9 Q Does the amount of groundwater put to a
10 beneficial use during the 5- and 30-year period sound
11 familiar to you --

12 A Yes.

13 Q -- in terms of what you were asked to evaluate?

14 A Yes. I read the language, but I just -- I'm
15 sitting here and I just can't remember exactly what it
16 said.

17 Q No problem.

18 Tell us what "beneficial use" means to
19 you.

20 A To me, you know, "beneficial use" is a
21 definition that's contained in the Water Code that says
22 if a use falls within the categories that the Water Code
23 describes, municipal, irrigation, industrial, mining and
24 some others, that if the use falls within those
25 categories, it is deemed to be beneficial use.

1 Q Is it your opinion that End Op intends to put
2 the water to a beneficial use?

3 A Yes.

4 Q And what use is that?

5 A Municipal.

6 Q A public water supply in other words?

7 A Public water supplies are usually municipal.
8 They might have some power or something, but usually
9 that's municipal, yes.

10 Q What is your understanding, based upon the
11 remand questions, of exactly what it is that you were
12 directed to do? Is it to determine whether or not the
13 water will be put to a beneficial use, or is it to
14 determine a specific amount that will be put towards --
15 to a beneficial use during a specific time period?

16 A What I was asked to do is do both, essentially
17 look at the remand question, as I understood it, and
18 then also to develop the information about the actual
19 need for water during those time periods.

20 Q Is the need to demonstrate a particular amount
21 of water in a 5- or 30-year period a requirement under
22 Texas law to obtain a permit as far as you know?

23 A No.

24 Q Nonetheless, how did you go about determining
25 an amount in a 5- and 30-year period?

1 A I went to the data that's publicly available on
2 the Water Development Board website regarding regional
3 planning, and I downloaded a bunch of data and
4 information and basically did some calculations using
5 that data.

6 Q Did you analyze the population -- projected
7 population growth?

8 A Yes, I did.

9 Q Did you analyze projected water demand
10 growth --

11 A Yes.

12 Q -- based upon population?

13 A Yes, I did.

14 Q Did you review anything else or analyze any
15 other information?

16 A Regarding the specific demands, that was the
17 source of my data. I also looked at the risks
18 associated with continuing reliance on the existing
19 water supplies. I also looked at costs, would our
20 ability to deliver water be cost effective compared to
21 what my understanding of the potential customers'
22 current costs were and then some other things along
23 those lines.

24 Q You made a distinction between the term
25 "demand" and what you were asked to do. Could you

1 explain why you were careful about using the word
2 "demand"? What do you mean by that?

3 A "Demand" is simply the term of art that I use
4 to describe a customer or a user's water use. It's the
5 full amount of their use, it's the growth in their use.
6 It's all these issues associated with their use. So
7 when I use the word "demand," I'm not trying to
8 distinguish between the remand language. I believe
9 they're essentially the same concept.

10 Q Did you form an opinion in conducting your
11 analysis on what the appropriate horizon for planning
12 for water is?

13 A Well, I think I had an opinion before this if
14 that's, yeah, what you're asking. The -- to me, the
15 appropriate quote-unquote horizon is at least 30 or 40
16 years, better 50 years, which is what the state has
17 adopted, 50 to 55 years, that's what they've adopted in
18 the regional planning. But when I was at LCRA, I
19 recommended to the General Manager and the Board and we
20 unofficially adopted a 100-year planning horizon. We
21 were entering into contacts with customers, such as the
22 City of Austin, that would last a hundred years, and so
23 I thought the only responsible way to plan for that kind
24 of need was to also plan our water supplies for a
25 hundred years. So my opinion, a hundred years is the

1 appropriate level, but I can understand why shorter
2 terms might be used by others.

3 Q Shorter terms such as 50 --

4 A No. In a municipal use, I think 30 years is
5 the absolute minimum for long-term planning, essentially
6 coinciding with the duration of the debt that might be
7 taken out in order to pay for a project.

8 Q Do you have an opinion on the population growth
9 and the water demand growth in Travis and Williamson
10 Counties?

11 A Yes.

12 Q And what is that?

13 A Based on the information that has been put out
14 over the last 15 years or so by the Water Development
15 Board, I see continuous projections of growth. And
16 every time they update them, they continue to say it's
17 still going to grow beyond the current planning horizon
18 in terms of both population and the conversion of that
19 population into water demands. Both will continue to
20 grow at a fairly rapid rate.

21 Q Do you have an opinion about how End Op's
22 project could fulfill that project growth in demand?

23 A Yes.

24 Q What is your opinion?

25 A I believe that a project like ours or our

1 project specifically where we're -- if we obtain the
2 permits, we would have 46,000 acre-feet, would be
3 considered as a very attractive alternative or
4 replacement for current water supplies amongst many
5 potential customers in Travis and Williamson County.
6 And I think fundamentally the water would be provided in
7 such a manner that it would be -- those entities would
8 want to use all of that water from day one if they
9 decided to go into this kind of project.

10 Q In connection with analyzing the population in
11 demand growth in projected water demand, have you
12 identified any potential customers or users for the End
13 Op project?

14 A Yes.

15 Q And who are those?

16 A After looking at the information that I looked
17 at, I identified four municipal users, City of Austin,
18 Round Rock, Cedar Park and Leander, as well as LCRA as
19 being potential customers.

20 Q And would LCRA actually use the water
21 themselves?

22 A If LCRA were the customer, they would not use
23 the water themselves. Their role is to be a wholesaler
24 and intermediary between the water supplies and the
25 customers. So, no, they would not. They have a

1 de minimis amount of use at various facilities, like
2 watering the grass at the general operation complex.
3 But generally what they do is they sell their water on
4 to the retail user.

5 The four entities that I mentioned, the
6 four cities, are all retail customers or all -- excuse
7 me -- firm water customers of LCRA, so that the chain
8 would be the water could either flow directly to those
9 customers or flow through LCRA to them. Both are valid.

10 Q And the potential customers that you mentioned,
11 those four municipalities, what is their current source
12 of water supply? It's being provided by LCRA in part.
13 Could you tell us more specifically about that?

14 A In Austin's case, essentially 100 percent of
15 Austin's water comes from the Colorado River. Legally
16 part of it comes under water rights that the City owns
17 apart from LCRA, but it's all from the same physical
18 source, the Colorado River and the Highland Lakes.

19 In the case of Round Rock, Cedar Park and
20 Leander, they all have contracts with LCRA, but they
21 have other sources, for example, with Brazos River
22 Authority, and some of them even have a few wells of
23 their own.

24 Q In connection with the work that you performed
25 for your testimony today, have you opined on the risks

1 or uncertainties associated with relying on surface
2 water supplies?

3 A Yes.

4 Q And what opinions have you formed?

5 A My opinion is that we are either right on the
6 cusp of or are currently in a Drought Worse than the
7 Drought of Record. And that based on that, the
8 reliability of the firm yield supply from the Highland
9 Lakes is going to be reduced, and that provides a risk
10 to customers or to LCRA regarding how much water they
11 can assume will continue to be available on a firm yield
12 basis from that supply. The ongoing drought basically
13 has created an issue that I think will call that whole
14 question very, very soon.

15 Q So what would a user of primarily surface water
16 do when they're faced with such an ongoing drought as,
17 in your opinion, we're experiencing?

18 A I think they would do what they've done
19 historically and what I've seen them do. First they
20 would go to their supplier, which up until a few years
21 ago was me. They would say, "What are you going to do
22 to solve this problem if the firm yield of your lakes is
23 less than what you thought? What projects would you
24 bring to bear that would supplement your water supply
25 such that I can continue to receive the water from you

1 that I have contracted for, and how much are those
2 projects going to cost me?"

3 I would also, if I were that customer,
4 independently go evaluate could I develop additional
5 sources or supplies on my own that would be either
6 complimentary to or more cost effective or both to my
7 continued use of the water from LCRA.

8 Q And what kinds of alternative or supplemental
9 supplies would be reviewed or considered?

10 A Well, clearly the subject of today's
11 proceeding, additional groundwater or adding groundwater
12 as a source if you didn't already have it, but also you
13 might look at other off-channel reservoirs commonly
14 before you get to the step of trying to go to a new
15 physical project. You would also look at conservation
16 and reuse and those various strategies.

17 Q Is groundwater -- is groundwater more resistant
18 to drought than surface water?

19 A I believe it is.

20 Q How so?

21 A The fundamental difference is surface water
22 stored in a reservoir or flowing down a river is subject
23 to evaporation, so you lose quite a bit of that water to
24 evaporation. Water stored underground is essentially
25 zero loss. And so there's some other minor issues, but

1 fundamentally it's the difference in evaporation between
2 the two sources.

3 Q Have you opined on the current cost of water
4 for these potential customers that you've identified?

5 A Yes.

6 Q Have you opined on the costs for End Op to
7 deliver water to these particular customers?

8 A Yes.

9 Q And what did you conclude?

10 A I believe we can deliver water to Cedar Park,
11 Leander, Round Rock and Austin and LCRA at rates that
12 will be attractive to them when I compare what they are
13 currently spending to develop their current water
14 supplies.

15 Q Have you opined on the prerequisites necessary
16 before a potential buyer will enter into a long-term
17 water supply agreement?

18 A Yes.

19 Q And what do you believe those prerequisites to
20 be?

21 A The shorthand that I have used, and I'll share
22 it here, is if people came to me at LCRA and asked me
23 would I be interested in purchasing water. I would ask
24 three fundamental questions. I would say, "Do you have
25 the leases? Do you have the permission and legal right

1 from the ground" -- excuse me -- "from the landowners
2 who actually own that water to come to me and offer me
3 that right? Show me the leases."

4 The second question I would ask is, "Do
5 you have the permits, or what is the status of your
6 permitting with the groundwater district or districts
7 that would control access to that water?" And third,
8 "Can you tell me the price of your water? How much is
9 it going to cost?" And those three fundamental
10 questions, that's essentially what the dialogue boils
11 down to.

12 Q In connection with your due diligence, did you
13 evaluate those factors that you consider prerequisites
14 to enter into a long-term water supply agreement?

15 A Yes.

16 Q And what did you conclude when you analyzed the
17 groundwater lease rights?

18 A At the time I first began the due diligence,
19 the agreement between End Op and the landowners was in
20 the form of an option. It's my understanding that
21 there's now been a conversion to the full lease status
22 for 42 of the 46 landowners, and we're still working on
23 the last four. So the leases are in place for 42 of
24 the 46. Options are in place for the other four.

25 Q And is it your understanding that before we got

1 to this proceeding today that the district had deemed
2 End Op's applications administratively complete?

3 A Yes.

4 Q And in connection with doing so, is that an
5 analysis of whether or not End Op has the right to
6 construct wells in connection with the project?

7 A You mean right from the district or --

8 Q Rights themselves from the private landowners?

9 A Oh, yes. Yes, they have agreements in place
10 that allow them to put wells on these landowners'
11 property.

12 Q When did you first learn about the End Op
13 project? Was it when you were asked to conduct due
14 diligence on behalf of Cap Rock?

15 A No. I -- I believe -- and I would say that
16 Mr. Limmer came to see me at LCRA years ago before I
17 left in the early stages of this project and described
18 what he was doing, and would I at LCRA be interested in
19 this water. And I asked him the three questions that I
20 just elaborated on, "Do you have leases? Do you have
21 permits? What's the cost?" He couldn't provide that
22 information to me, and I think that was essentially the
23 first time that I heard of this project.

24 Q For those who don't know, tell us who
25 Mr. Limmer is.

1 A Frankie Limmer is -- my understanding is the --
2 well, he's one of the former partners. I don't know who
3 all the partners are of End Op, but he was to me the
4 spokesperson for End Op at the time I met with him.

5 Q Do you have an opinion on the most efficient
6 way to contract for water supplies?

7 A Yes.

8 Q And what is that opinion?

9 A Well, I think the most efficient way is to what
10 I call baseload, which is that you would purchase the
11 full amount, some amount that would last a very long
12 period of time. You would not look at it piecemeal.
13 And if you could avoid it, you would, for example in our
14 case, lease the water, purchase the water, all 46,000
15 acre-feet, for a period of 30 or 40 years. That way you
16 can plan for, and the development costs of delivering
17 and treating that water are the most economical.

18 Q Is that consistent with the need to obtain
19 long-term financing to complete such a project or
20 construct such a project?

21 A Yes, that's part of it, and that's usually the
22 primary driver in costs. You at least want to enter
23 into contracts with folks such that your revenue stream
24 matches your debt service stream so that you can assure
25 the bondholders that you will be able to pay them.

1 That's 30 or 40 years usually, depending on where and
2 how you sell the bonds. Many contracts, though, go much
3 longer than that, like the contract we did with the City
4 of Austin when I was at LCRA, 100 years.

5 Q What impact, if any, does the five-year permit
6 term have on a project like End Op's and the ability to
7 sell 46,000 acre-feet?

8 A If I were a customer of this water and what
9 I've been working on trying to provide an answer for is
10 the question that if you're saddled with a five-year
11 permit term, what does that mean in terms of your
12 ability to renew that permit and what are the risks that
13 that brings to me? Fundamentally I want to see, as a
14 customer, long-term permitting in place, 30 years or
15 more. And so I would have a lot of questions. If --
16 well, I would have a lot of questions about it as a
17 customer.

18 Q Have you studied the renewal permitting process
19 in connection with End Op's permits at Lost -- pending
20 at Lost Pines?

21 A I have read the rules. I've never been
22 involved in a permit renewal with them.

23 Q And what is your understanding of how the
24 renewal works?

25 A I'm not sure. I think that what would happen

1 is if the permit was fixing to expire, that there would
2 be a reapplication, and you'd have to go through this
3 whole process again.

4 Q In contracting -- in contract negotiations, you
5 said you would have questions as a buyer. Do you think
6 that that would deter a buyer from entering into a
7 contract for the full 46,000 acre-feet?

8 A Yes. If the five-year term carried with it a
9 much smaller amount, based on what I understand the
10 remand question to be, then, yes, as a customer I'm
11 going to say, "Wait a minute. You only got a permit for
12 X. I want to buy Y. How can you deliver Y to me," you
13 know, the larger volume. You asked for 46 and you only
14 got whatever it was. So it's -- it's very important.
15 Again, because as a customer, I'm going to be looking at
16 my long-term costs for my total system, not just the
17 next five years.

18 Q Are you familiar that End Op has committed to
19 pay for the potential financial impacts on existing
20 users in the Simsboro?

21 A Yes.

22 Q And in the projections of costs that you have
23 prepared today, is the mitigation costs embedded within
24 those costs?

25 A Yes.

1 Q From a buyer's perspective, is that a good or a
2 bad thing?

3 A Pretty much it's a good thing.

4 Q Why so?

5 A Because it removes one of the issues that
6 would -- I'm sure would come up in discussions, and that
7 is there might be objections, there might be impacts,
8 what have you done to mitigate those impacts. As far as
9 I know, the agreement that we have is the only such
10 arrangement that I'm aware of in a proceeding like this.

11 Q Have you studied the details of SAWS -- you
12 mentioned earlier, the San Antonio Water System? Have
13 you studied the details of their development
14 activities --

15 A Yes.

16 Q -- in connection with forming your opinions?

17 A Yes, I have.

18 Q And what have you studied specifically?

19 A Specifically most recently I looked at the
20 contract that SAWS is -- SAWS and an outfit called Vista
21 Ridge have entered into that was approved by the SAWS
22 board and by the city council within the last couple of
23 weeks. I call it the Vista Ridge contract.

24 Q And why did you review that?

25 A That contract -- well, fundamentally because it

1 was available. I could get to it because they did a
2 fairly unique negotiation process where it was all done
3 in public, and they've posted the results of their
4 negotiations on the website. So I could go there and
5 get the actual contract.

6 Second, because of the way that contract
7 is structured, it provides a very interesting and I
8 would say almost unique approach to a buyer and a seller
9 agreeing on terms. And so I wanted to understand what
10 that approach was so that I could basically see if it
11 applied to our project or could apply to our project.

12 Q And what did you conclude?

13 A I concluded that this is a -- fundamentally
14 a -- to me will set the gold standard going forward
15 because it is a very good contract for both parties. I
16 believe the concepts embedded in that contract have
17 direct applicability to the End Op project ability to
18 deliver water to Austin or Round Rock or whomever. And
19 so I think it's a very useful go-by.

20 I also know that if I were a potential
21 customer of End Op, one of the first questions I would
22 ask is, "Well, SAWS did this. Explain how your project
23 would relate to the method SAWS and Vista Ridge used,"
24 and so I needed to be ready to do that.

25 Q What is the method that they used for -- what

1 is "innovative"? You used that term earlier about that
2 particular contract.

3 A Well, the innovation is that -- two things.
4 One, it was done in public, which is fairly -- I don't
5 know of any other like that. But I think more
6 importantly on the terms of the contract, it was the
7 mitigation of risk to both parties that's embedded in
8 the terms. Fundamentally SAWS has agreed to pay for the
9 physical delivery of water or the ability to have water
10 physically delivered to them in Bexar County. So SAWS
11 has no ownership until the past 30 years of any other
12 pipelines or wells.

13 Having Abengoa, which is one of the -- the
14 Vista Ridge group which includes a company called
15 Abengoa, have agreed to develop all the entirety of the
16 project in return for a guarantee of payment. So in
17 essence both parties have said if the water is
18 deliverable or is actually taken by SAWS, Abengoa will
19 get paid. And embedded in that is the concept that for
20 certain expenses, which are subject to inflation like
21 energy and O&M, SAWS agrees to pay those as a
22 pass-through cost at their actual cost.

23 In essence what they've done in this
24 arrangement is remove almost all of the risk to both
25 parties because they're predefining who is going to pay

1 for what, they're predefining that the energy and O&M
2 can actually increase in cost as energy prices go up in
3 the future. And so that reduced the risk to both
4 parties. They know what their costs are going to be as
5 they go into this, and all that is on their website and
6 in this contract that I pulled.

7 Q And contrast with -- that with what is the
8 typical water -- long-term water supply agreement.

9 A Typically -- although there are some
10 variations, typically if I were a water user, I would go
11 find the water myself, buy the water from the source of
12 supply, build the water plants, build the pipelines,
13 build the pump stations, build them and own them myself
14 and embed -- essentially take all the risk for that.

15 In this case, Abengoa, or the Vista Ridge
16 consortium, has agreed to make the initial investment in
17 return for a contract that says they will be paid. In
18 some entities, like if I bought my water from LCRA like
19 Austin and these others do, LCRA has incurred the cost
20 of creating the supply, and they set a raw water rate,
21 which as a user I go to them and say I want to buy raw
22 water from you, but I'm still responsible for treating
23 it and delivering it to a pipeline to my end users. So
24 that's sort of a combination as opposed to a totally
25 stand-alone project.

1 Q Obviously you're familiar with LCRA's water
2 supplies given your tenure there. Have you kept abreast
3 since you retired from LCRA?

4 A I've tried to.

5 Q And what are your conclusions with regard to
6 LCRA's long-term water surface supply?

7 A I believe that the supply that I'm familiar
8 with, when I was there, is at risk due to the ongoing
9 drought and the probability that we're already in a
10 Drought Worse than the Drought of Record. I'm also
11 essentially pleased to see that LCRA has moved forward
12 with the concept of constructing an off-channel
13 reservoir downstream in Wharton County. It's very
14 similar to a concept that I worked on for years when I
15 was there.

16 Also, LCRA has, for the first time, begun
17 to look at investing in groundwater supplies,
18 specifically the Lake Bastrop property that LCRA owns
19 around the Bastrop power plant. They apply it to the
20 Lost Pines district for well permits and have received
21 them. And as far as I know, that's the first major
22 groundwater project they've engaged in.

23 Q Have you opined on the possible production
24 amounts in the future for End Op water if permits are
25 obtained?

1 A Could you ask the question again?

2 Q Sure. Do you have an opinion about the amount
3 of water that End Op could sell if it obtained permits?

4 A Yes.

5 Q And what is that opinion?

6 A I believe we could sell all of it on the first
7 day that the water could be delivered.

8 Q And, Mr. Thornhill, in forming these opinions
9 that you've summarized for us, did you review, rely upon
10 and/or prepare Exhibits 52 through 106?

11 A I relied on them, in part, and I prepared them
12 all.

13 MS. REESE: Thank you. Your Honor, End Op
14 moves to admit Exhibits 52 through 106.

15 JUDGE O'MALLEY: Okay. Are there any
16 objections?

17 MR. LEIN: No objection.

18 MR. GERSHON: No objection.

19 JUDGE O'MALLEY: Thank you. End Op's
20 Exhibits 52 through 106 are admitted.

21 (Exhibit Applicant End Op Nos. 52 through
22 106 admitted)

23 MS. REESE: And actually, Your Honor, I
24 move to admit 51 as well.

25 JUDGE O'MALLEY: Okay.

1 MS. REESE: Thank you.

2 JUDGE O'MALLEY: Any objections?

3 MR. GERSHON: No, Your Honor.

4 MR. LEIN: No, Your Honor.

5 JUDGE O'MALLEY: End Op Exhibit 51 is
6 admitted.

7 (Exhibit Applicant End Op No. 51 admitted)

8 MS. REESE: And for the record, I'd like
9 to note that End Op has withdrawn Exhibit 107.

10 JUDGE O'MALLEY: Okay. We will note that
11 for the record, that End Op Exhibit 107 has been
12 withdrawn. And that takes care of Aqua's objection.
13 Correct?

14 MR. GERSHON: It does. Thank you.

15 JUDGE O'MALLEY: Thank you.

16 Q (BY MS. REESE) All right. Mr. Thornhill,
17 let's delve into the details of these opinions and what
18 you've reviewed and relied upon and the assumptions you
19 made in forming your opinions.

20 A Okay.

21 Q Do you need to take a break, or are you okay?

22 A No, I'm fine.

23 Q Okay. You just let me know if you need to take
24 a break.

25 A Okay.

1 Q You testified earlier that the appropriate
2 planning horizon for water is somewhere upwards of 50
3 years. Tell us a little bit more about why you have
4 that opinion.

5 A Longer is better. Because it takes so long to
6 develop projects, to obtain the permits and the
7 financing, to construct them and get them into
8 operation, that the longer term you can have is better.

9 Also, as I stated, the financing is
10 usually 30 to 40 years. So at a minimum that would be
11 the length of a project once it's built. But you have
12 lead time you need to add on to that to get it going.
13 50 years, for example, which the state has adopted,
14 would carry it beyond -- if you knew of a project today
15 that you might need at the end of that 50-year period,
16 you could begin the planning and the processing to get
17 it underway.

18 If you were only planning for 30 years in
19 the future, then by definition you don't know what's
20 going to happen in the 31st year or you've put blinders
21 on about it. It's just not a good way to go about it.

22 Most entities that I'm aware of have
23 participated in and adopted the 50-year to 55-year
24 planning horizon that the Texas Water Development Board
25 is currently using. The exception would be both the

1 City of Austin and LCRA, to the extent we entered into a
2 hundred-year contract.

3 Q Is looking at an amount in, say, for example, a
4 five-year period, an amount used within the incremental
5 five-year period, is that consistent with your opinion
6 about the appropriate horizon for water planning?

7 A No.

8 Q Could you please explain?

9 A Well, fundamentally if I'm going to look five
10 years in the future, that's a little bit of water that
11 really doesn't solve my problem at all. I need to look
12 50 years or more in the future in order to do a
13 cost-effective planning process and be able to
14 understand what my water is going to cost and where I'm
15 going to go to get it. I don't know of anyone, anywhere
16 who uses a five-year planning process for water supply.

17 Q Do you know of an instance in which a user
18 attempted to contract for an incremental need within a
19 five-year period?

20 A I'm sorry, repeat the question.

21 Q Sure. Do you know of any instance in which a
22 user attempted to contract for an incremental amount
23 which was needed within a five-year period?

24 A Well, in an emergency situation, if I were --
25 if I had a pump break or a pipeline burst or a dam fail

1 in my system, I might go somewhere else and buy water
2 for five years to fill in in an emergency. But in terms
3 of -- as soon as I got that fixed, I'd go back to my
4 prior status. So I -- that would be the only
5 circumstance that I could foresee.

6 Q You testified earlier that the first step in
7 identifying a water demand is to analyze and consider
8 population growth and the projections and how they
9 impact water demand growth. Did you analyze any
10 population growth in Travis and Williamson Counties?

11 A Yes.

12 Q And is that demonstrated in Exhibit 52?

13 A Yes.

14 Q So what does Exhibit 52 tell us about the
15 population projections for Travis and Williamson
16 Counties?

17 A Well, for the county totals, if you look across
18 the top -- top two lines of the graph, the data would
19 indicate that there's a significant growth. You can
20 compare decades -- these numbers are basically decade by
21 decay from the Water Development Board. So between 2020
22 and 2070, Travis County's population is going to go up
23 by about 60 to 70 percent. The Williamson County
24 population is projected to almost triple in the same
25 50-year period.

1 Q And if you look at the 2015 to 2020 increase
2 column on this table, how did you derive that
3 information if the population projections are made in
4 decades?

5 A Because these projections are made on the even
6 decades, to get the five-year period from 2015 to 2020,
7 I had to estimate the 2015 numbers. So I simply
8 averaged the 2010 and 2010 -- excuse me -- 2020 numbers,
9 then I subtracted that average from the 2020 number, and
10 that gives the 2015 to 2020 increase column, which is
11 the fourth one over basically.

12 Q So is the bottom line, if you wanted to just
13 look at the increase in projected population from 2015
14 to 2020 for both counties, is that number demonstrated
15 the 246,849?

16 A Yes.

17 Q Okay. Did you graph this information?

18 A Yes.

19 Q Is that what's on Exhibit 53?

20 A Yes.

21 Q You have, I see, in the middle of Exhibit 53,
22 two projections. Why don't you tell us what you did
23 here.

24 A Are you referring to the graph?

25 Q Correct.

1 A All right. In the middle of the page, there's
2 a colored graph. Yes, the -- in essence, the top two
3 lines, the green line and the blue line, are the Travis
4 County projections from the year 2000 to the year 2070.
5 The bottom two lines are the Williamson County
6 projections from the year 2000 to 2070. The reason
7 there's two lines for each is that they -- in the case
8 of the top two lines, I'll use that as an example to
9 explain it.

10 The blue line are the projections that
11 were made for the 2011 regional water planning process,
12 which was finalized in 2011, the water plan issued and
13 that's the current water plan today as we stand. The
14 Water Development Board, however, has issued the
15 population and demand projections for the next round,
16 which is ongoing right now, which will terminate in
17 2016.

18 So to read the graph that -- you see the
19 label 2011 Travis, which is the blue line, then look at
20 the label for the green line is 2016 Travis. All that
21 is is an undate by the Water Development Board based on
22 their current underring of what the populations are
23 going to be. And if you look on the right-hand side,
24 you can see the green line goes one more decade because
25 in the -- in this round, they are extending the whole

1 planning process by 10 years. And every other time they
2 do a plan, they extend it another 10 years into the
3 future. That maintains a minimum 50-year planning
4 horizon.

5 Q And when you look at -- and the ones on the
6 bottom, the purple and the yellow, those are Williamson
7 County. Correct? The purple and the red.

8 A The purple and the red, yes.

9 Q And when you look at the trends that are
10 depicted here, what does that tell you?

11 A It tells me that just what I said from the
12 prior exhibit, from the table. The bottom line, the
13 projections have been and continue to be that both
14 county's populations will continue to grow fairly
15 rapidly. And, in fact, as they've updated the
16 projections, compared to five years ago, they think it's
17 going to grow even more than what they previously
18 thought. And that's why the two curves -- you know, the
19 current curves are higher than the prior curves.

20 Q You prepared information on the bottom of
21 Exhibit 53 for a major -- the major WUG population.
22 What does "WUG" stand for?

23 A "WUG" is water user group. It's an acronym
24 used by the Water Development Board planning process.

25 Q And why did you track the population grown

1 specific to particular users?

2 A Again, in thinking about who the potential
3 customers might be, I didn't want to just rely on the
4 county total. I wanted to look and see what Austin,
5 Cedar Park, Leander, in fact Georgetown and a number of
6 others when I first started, but the purpose is to track
7 the -- essentially as I began to focus on those four
8 entities, what were their demands going to be.

9 Q Okay. And so the next step is to actually take
10 those population projections and see how they translate
11 to water demand productions?

12 A Correct.

13 Q And is that what is demonstrated on
14 Exhibits 54, 55 and 56?

15 A 55 and 56 show that. 54 is -- well, I think
16 the answer to your question is "yes."

17 Q Okay.

18 A Let's stop there.

19 Q Thank you.

20 So Exhibit 54 is just sort of the raw
21 data. Is that correct?

22 A Correct. And that was the distinction I was
23 going to make. This is -- this is an example of when I
24 go to the website and download this massive spreadsheet
25 and then sort the data by county and by water user

1 group, which are the second and third columns of this
2 table, this is the data you get for the 2020 to 2070
3 decades. So if you look at the bottom of the page, the
4 sum of those columns is down there at the very bottom.
5 This is simply the raw data that I used from here on
6 out.

7 Q Okay. And the tables in 55 and 56 basically
8 graph the raw data. Is that correct?

9 A Correct.

10 Q So let's look at Exhibit 55. You want to tell
11 us how to read this?

12 A It's very similar to the other graph. This is
13 total demand by county, so this is everything. This is
14 municipal, industrial, irrigation, mining, all of -- all
15 uses. The upper two graphs are for Travis County. The
16 lower two are for Williamson County. I duplicated the
17 numbers at the bottom. It might help read the graph.

18 Q Okay. And is the trend that you saw with
19 regard to population, that when the 2016 numbers came
20 out they were higher than the 2011, is that trend
21 apparent here when you look at the water demand growth?

22 A Yes, it's perhaps not as dramatic, but you can
23 see, for instance, in the top two the gray line is
24 slightly above the blue line. So five years after they
25 made the projections, they made them again and they were

1 higher than what they did before.

2 Q Okay. If you look at the table at the bottom,
3 how do we calculate what the total demand is then for
4 Travis and Williamson County for 2020?

5 A Well, you go to the column entitled 2020 at the
6 bottom and you add -- the ones I would use is the 2016
7 Travis of 291,000 and the 2016 Williamson of 121,000
8 that add -- you need to add those together, and that's
9 about 410,000.

10 Q Okay. Did you do any graphing just strictly
11 with municipal demand, the demand that End Op is going
12 to provide the water for?

13 A Yes.

14 Q And is that on Exhibit 56?

15 A Yes.

16 Q So you read this chart very similarly to the
17 previous one. Correct?

18 A Yes. I expanded this one a little bit. As I
19 was noticing that the projections changed, I thought,
20 well, what did they project back in 2006. So this chart
21 has three planning projections on it, 2006, 2011 and the
22 current 2016 projected demands. You essentially read it
23 in the same way. You can see the differences between
24 the demands made at the different planning periods, and
25 you can see that in the latest round they've extended to

1 the year 2070. Before they stopped at the year 2060,
2 but now they're going all the way to 2070.

3 Q Is the same trend that we have been seeing when
4 the new projection come out apparent -- consistent on
5 this chart as well?

6 A I'm sorry, could you ask it again?

7 Q When the 2016 numbers came out, are they higher
8 than what the 2011 projections are?

9 A Not -- not always. For example, if you look at
10 the -- let me be sure I'm answering you right. Yeah,
11 the -- this is just municipal. This is not total
12 demand. So if you look at the upper chart, in the
13 year 2060, the gray line is the 2011 demand, the blue
14 line -- or excuse me -- the source of the gray line is
15 the 2011 demand projections. The blue line is below
16 that. So unlike what we've seen in some of the other
17 graphs, they're projecting a slightly lower municipal
18 demand as they updated the demands.

19 Q And into the future, the demand is continuing
20 to grow. Correct?

21 A Correct.

22 Q So how much is the total municipal demand in
23 Travis and Williamson County for 2020?

24 A Well, again, you go to the column labeled 2020
25 and I would use the 2016 numbers, which are the bottom

1 two rows. Yes, that's right, the bottom two rows. So
2 228,000 plus 112,000 more or less, so 340,000 --

3 Q Okay.

4 A -- approximately.

5 Q What does that tell you when you compared it to
6 the total demand that we just looked at on the previous
7 exhibit?

8 A It's the, by far and away, the largest share of
9 the total demand. I think the total demand was north of
10 400,000, this is 300,000, so it's about three-quarters
11 of demand.

12 Q Okay. Have you conducted any analysis relative
13 to a user's demand in terms of percentage of growth?

14 A Yes.

15 Q Is that what you can see in Exhibit 57?

16 A Yes.

17 Q And this is called 20 Municipal WUGs, and
18 you've ranked them. Why did you rank them by 2070
19 demand?

20 A Simply as a matter of convenience. I was
21 curious as to if I looked at the total demand at the end
22 of the planning period, in other words, the farthest in
23 the future that I had numbers, who was going to grow and
24 by how much? So I simply took the raw data for each of
25 these 17 water user groups, sorted and stacked it based

1 on the column that's headed 2070 from largest to
2 smallest and essentially allows me to assess how much
3 water each of them might need at the end -- you know,
4 during and at the end of this 50-year period.

5 Q And so if you look at the column -- the
6 second-column-to-last column on the right, that is in
7 acre-feet, the growth in demand from 2020 to 2070 in
8 acre-feet?

9 A Acre-feet per year, yes.

10 Q And then the furthest right-hand column is the
11 actual percentage of growth during that time period?

12 A Yes, it's -- for example, to read that column,
13 the 74 percent calculation is the column just to the
14 left of that, 121,000 divided by the 2020 demand of
15 165,000. So that's how the table works.

16 Q And so was it a coincidence that the potential
17 customers that you have identified are listed at the top
18 of this table?

19 A Not at all. This table and others led me to
20 those customers.

21 Q Okay. And so what does this tell you about the
22 demand for Austin, Round Rock, Leander and Cedar Park,
23 the four potential customers that you've identified?

24 A Well, the easiest way other than the fact that
25 their demands are growing -- and I'll make an exception

1 to that in the second. Look at the second-to-last
2 column, the 2020 to 2070 growth in demand.

3 Austin from 2020 to 2070 is projected to
4 grow by 121,000 acre-feet, more or less, in demand.

5 What that means is a project like ours would only be a
6 small part of their current or future demands if you
7 look at it from an incremental basis for the next 50
8 years.

9 When I looked at Round Rock, Leander and
10 Cedar Park, Round Rock and Leander -- Round Rock is
11 39,000 acre-feet, Leander is 34,000 acre-feet in round
12 numbers, those are smaller amounts over the next 50
13 years than the amount we are requesting from the
14 district for our permits. But if you combine the two of
15 them, they obviously exceed the amount.

16 The reason I looked at combining them is
17 all of these entities -- all four of these entities take
18 their water from the Highland Lakes. Cedar Park,
19 Leander and Round Rock are all participants in a
20 regional water treatment and delivery system called the
21 Brushy Creek Regional Utility Authority. And so
22 providing water to one of them my benefit the other, and
23 I think it's very likely that a combination of one or
24 more of these customers would be a very likely customer.

25 The exception that I spoke about a second

1 ago, if you look at Cedar Park, which is the sixth row
2 down, you know, the sixth row down, the total demand
3 over the next 50 years was only 2,000 acre-feet,
4 about 9 percent. Cedar Park is landlocked from an
5 expansion perspective. There's other entities all the
6 way around it.

7 Pretty much if you look at the water
8 demands across time, you should have fairly constant,
9 a little bit of rise as they do infill. And what this
10 tells me is that Cedar Park alone may not be as strong
11 a candidate to be a customer as the others. They may
12 still be because they share facilities with the others,
13 but that's what I got from this table. It
14 essentially -- the high probability customers remain
15 Austin, Round Rock and Leander. Cedar Park is still a
16 potential customer, especially if you group them
17 together, but it's probably not as high or not as likely
18 that they would be a customer as the other three.

19 Q Okay. If you took this project to the city --
20 the End Op project to the City of Austin, how do you
21 think they would evaluate End Op's project?

22 A I think they would ask the same three questions
23 I asked, "Do you have leases? Do you have permits, and
24 can you provide a price?" They'd want to know how much
25 water we could deliver, at what point in time, at what

1 price.

2 Q You testified earlier that, in your opinion,
3 it's not appropriate to look at an incremental need in a
4 five-year period for purposes of water planning or
5 contracting. But nonetheless, did you actually
6 calculate a demand growth for the 2015 to 2020 years?

7 A Yes.

8 Q And is that what is on Exhibit 58?

9 A Yes.

10 Q So tell us what the bottom line is about this
11 information that you've compiled here.

12 A Based on my understanding of what the remand
13 question was and how it might be answered explicitly, I
14 took the -- actually this table shows all demands, but
15 the one -- the rows that I relied upon are only the
16 municipal. So the top series of rows is Travis County,
17 the next one is Williamson, the bottom series of rows is
18 the combined total.

19 So if you look at the combined municipal
20 row -- and I'm sorry, the rows aren't numbered -- is
21 about the 15th one down, but that first row under
22 combined, you see there the calculations by decade -- or
23 excuse me -- the projections by decade and also my
24 calculations of the 2015 and then the 2015 to 2020
25 increase, as well as over on the right-hand side the

1 2045 to 2050. I had to calculate the 2045 column
2 because, again, it was an odd decade. And I thought it
3 would be easier to read -- maybe it's not -- but I
4 pulled the numbers down into the smaller table at the
5 bottom to reflect, I think, what would be a technical,
6 literal response to what I understand the remand to be.

7 Q So if you look at the five-year municipal need
8 total for 2015 to 2020, that's the 339,704 number.
9 Correct? It's very small numbers, I understand.

10 A Yes, the -- and that comes from right above
11 that. That column you'll find all four numbers that
12 we're fixing to talk about are in the row labeled
13 Combined Municipal going across the page.

14 Q Okay.

15 A So I just copied them down to the bottom to
16 highlight them.

17 Q So this is every user in Travis and Williamson
18 County of municipal -- for municipal use, the demand
19 between -- in that five-year incremental period is
20 approximately 340,000 acre-feet? Is that how you read
21 that?

22 A I believe that's the need five years from now,
23 not the incremental. That's the total need of all users
24 five years from now, not the incremental need.

25 Q And so --

1 A The next row is the incremental need.

2 Q The 31,510 --

3 A Correct.

4 Q -- acre-feet?

5 A Correct. That's -- if you look in the
6 municipal -- well, yes, the answer to your question is
7 "yes."

8 Q And so that is less than the 46,000 acre-feet
9 that End Op is asking for?

10 A Correct.

11 Q In your opinion, does that mean that End Op
12 only needs a permit for 31,510 acre-feet?

13 A No.

14 Q Why not?

15 A Again, for the reasons we've been talking
16 about, the normal planning horizon goes all the way out
17 to 2070 or beyond for all of these entities, all of whom
18 are participants in this regional planning process.

19 I believe that our project, because of
20 the -- essentially the risk that the current supplies
21 are placed under by the current drought, plus our
22 ability to deliver an economically attractive
23 alternative to them, that these customers would look
24 kindly upon the full amount and, in fact, might even ask
25 us why we couldn't deliver more.

1 Q So is it your opinion that the 31,510 acre-feet
2 is not representative of the amount that End Op would be
3 able to contract for?

4 A Correct. I think we could sell a lot more to
5 one or more of these entities.

6 Q And then if you look at the 30-year out
7 numbers, specifically the incremental demand from 2015
8 to 2045, that number -- do you have an opinion about
9 that number as compared to the volume of End Op's use?

10 A Essentially it's almost ten times what we've
11 requested. If you look -- as I understand the remand,
12 the 30-year number was for the export permit. And the
13 demand in just the next 30 years, the incremental
14 demand, the increase in demand, is 450 -- 451,000, you
15 know, roughly ten times what our permit request is.

16 Q Okay. You testified earlier, Mr. Thornhill,
17 that you thought that we were in the worst drought of
18 record. Is that correct?

19 A Yes, that's what I think.

20 Q Have you prepared any exhibits demonstrating
21 and supporting this opinion?

22 A Yes.

23 Q And are those Exhibits 60 through 86?

24 A Yes.

25 Q Okay. So let's take a look at Exhibit 60.

1 What does this tell us about the drought?

2 A What 60 is is a snapshot in time of about --
3 looks like a couple weeks ago -- of the status of
4 drought in Texas. This is available off the TCEQ
5 website. It says Drought Impact on Surface Water
6 because it comes from the TCEQ website, but this is a
7 commonly used graphic to display the extent and severity
8 of drought.

9 Essentially anything on -- just to explain
10 how you look at it, anything that is not colored, all
11 the white area, means there's no drought using the
12 methods they use to compute a drought, no drought in
13 existence. But anything that's colored, yellow, orange,
14 red or brown, means some sort of drought exists. And
15 the darker the color, the dark brown is the most extreme
16 drought.

17 Q And this is a snapshot in time. Correct?

18 A Correct.

19 Q And are there different kinds of droughts?

20 A Yes.

21 Q Can you tell us a little bit more about that?

22 A Well, depending on what academic you talk to,
23 there could be hundreds of kinds of droughts. But I
24 boil them down, and I think the generic use of droughts,
25 is you can have a -- a precipitation drought where you

1 simply have reduced precipitation and people are
2 measuring the fact that the rainfall this year is less
3 than it was last year or something like that.

4 You can also have an agricultural drought,
5 I would call it, where farmers and those dependent on
6 soil moisture measure the soil moistures and are very
7 concerned about that because you could have a -- well, I
8 won't explain.

9 And then the third kind of drought is the
10 one that I think is most pertinent to this discussion,
11 and that is if you are an owner of reservoirs and you
12 are dependent on the water stored in those reservoirs,
13 once the water level in the reservoirs begins to fall,
14 you never know if they're going to -- you never know if
15 they're going to go empty or not, and so you're
16 constantly monitoring the status of your reservoirs, and
17 I would call that a hydrologic drought.

18 Q And what causes a drought?

19 A Fundamentally, drought is a result of reduced
20 precipitation. Higher temperatures result, which also
21 drive up demands, and things like that happen. But
22 fundamentally, a drought is reduced precipitation.

23 Q Are there impacts on the availability of
24 surface water in times of drought or as a result of
25 drought?

1 A Yes.

2 Q And what are those impacts?

3 A In essence, if you picture a raindrop falling
4 onto the ground and running off into a river and that
5 river then feeding into a lake, if it doesn't rain, that
6 doesn't happen, so the lake level falls. It reduces
7 inflows -- which is the term of art -- reduces inflows
8 to the rivers and/or storage reservoirs that are
9 available to capture those inflows.

10 Q Are there any other impacts on the availability
11 of surface water?

12 A In a drought you mean or --

13 Q Well, you talked about -- so let's take a step
14 back. You talked about inflows being reduced when
15 there's no rain or less rain into the lakes and the
16 rivers. And then when there's less inflows in there,
17 what ultimately ends up happening in those lakes and
18 those rivers?

19 A Well, the lake levels fall, which is what --
20 I'm sorry if I didn't say that. The impact is that like
21 on the Highland Lakes, or Lake Travis and Lake Buchanan,
22 if the inflows are reduced, that means there's not as
23 much water coming in to make up for evaporation and
24 releases and uses by customers, the lake levels begin to
25 fall. That's certainly what we're seeing today. If it

1 rains and floods a lot, the lakes stay full, and you're
2 generally not in a drought.

3 Q And are you allowed -- is every drop of water
4 in the lake or the river available for surface water
5 supply use?

6 A No.

7 Q Can you tell us a little bit more about that
8 and approximately how you evaluate what is available
9 versus what is actually in there?

10 A You have other uses that you have to meet, both
11 regulatory driven and as a result of your operations.
12 For example, permits today are usually contingent upon
13 meeting certain environmental issues downstream. So
14 many times you have to let a little bit of water go or a
15 lot of water go out of your dams and reservoirs to meet
16 those downstream needs.

17 The primary issue, I think, is the net of
18 all those demands and the net of the municipal or
19 industrial or a combination of demands you put on a
20 reservoir is driven by the derivation of firm yield for
21 that reservoir. And firm yield is a term of art that's
22 used to describe how much water you can dependably get
23 out of that reservoir if you had a repeat of the Drought
24 of Record. The Drought of Record is essentially from
25 the mid '40s to the mid to late '50s; '46 to '57 is what

1 I use. And so that tells you that -- a number. It says
2 that if we had a repeat of the drought of the 1950s and
3 you pumped continuously on your lake during that
4 drought, this is how much water could you dependably
5 get.

6 The TCEQ and its predecessor agencies have
7 adopted that as the criterion upon which they issue
8 municipal water permits to reservoir owners, firm water
9 basically to reservoir owners. So LCRA's Highland
10 Lakes, the amount of water that's available from them is
11 dependent upon the derivation of the firm yield of those
12 lakes. Firm yield is set by the drought standard that
13 you've adopted to compute the firm yield, and
14 historically that drought has been the 1950's. In my
15 opinion, the current drought is worse than that, and the
16 firm yield is falling.

17 Q Have you evaluated, in connection with coming
18 up with your opinion that we are experiencing a Drought
19 Worse than the Drought of Record, did you prepare any
20 tables or graphs charting the severity of the drought
21 over time?

22 A Yes.

23 Q Okay. And are those in Exhibits 61, 62 --
24 well, I believe it's just 61. What does this tell us
25 about the severity of the drought?

1 A 61 is hundreds of snapshots. The prior graph,
2 which was the State of Texas colored in, was one day out
3 of one week. They do that weekly. If you look across
4 the lower scale here, it's from the year 2000 to today.
5 Those colors are the same colors -- or they are supposed
6 to be the same -- depiction of the same drought
7 conditions that are shown on the prior map but over this
8 entire period of time.

9 So again, it says that if the color
10 extends all the way to the top of the chart, that means
11 100 percent of the state was impacted by drought. So
12 where you see white areas, again, there was perceived to
13 be only partial or no drought. But over on the
14 right-hand side, for example, if you look at about the
15 year 2010 to the far right-hand column, you see that
16 over 90 percent of the state in round numbers has been
17 in some sort of drought for the last four years.

18 So you read this chart basically by,
19 number one, how high up on the graph does it go. You
20 also -- a handy tool I do, I just look at the purple.
21 Purple is the absolute worst drought. It's called the
22 exceptional drought. And if you look at the year 2011,
23 80 -- I believe the actual number is 88 percent of the
24 state was in the exceptional drought category. The
25 entire map that we previously looked at would have been

1 colored, almost 88 percent of it, dark brown. And so
2 that's consistent with our understanding and the
3 understanding of the public and my analysis of it, that
4 2011 is the worst -- that year is the worst year of
5 drought in our recorded history as long as we've been
6 keeping records. People say there were worse droughts
7 long ago, but since 1940 that's clearly the worst
8 drought we've ever had.

9 Q So what does this information mean for water
10 plans?

11 A This is just a tool to increase awareness. It
12 tells you that, yes, droughts happen. It tells you that
13 you should be concerned. It's a good communication tool
14 for the public to show them both the severity and the
15 timing of these droughts. In terms of direct
16 application, there really is none.

17 Q Okay. When do you think the current drought
18 that we're in started?

19 A Everything I'm going to talk about is going to
20 be what I would call a hydrologic drought as it affects
21 the firm yield of a reservoir, the Highland Lakes
22 upstream. In the case of the Highland Lakes, I believe
23 the current drought that we're in started in March of
24 2008. That was the last date that both reservoirs were
25 completely full.

1 Q Have you studied the impact of drought on
2 surface water storage?

3 A Yes.

4 Q Is that what you have depicted on Exhibit 62?

5 A Yes.

6 Q And tell us what this is.

7 A This is a download from the -- a Water
8 Development Board cite. The web address is at the top
9 of the page there. But anyone can go there and look at
10 this information. I simply downloaded it and printed
11 it.

12 The Water Development Board tracks
13 reservoir contents in 114 major reservoirs in Texas, and
14 that's any reservoir that's more than 5,000 acre-feet in
15 capacity. They put this plot out there -- I think they
16 update it every week. I may be wrong about that --
17 where the color of the dot depicts the content of the
18 reservoir relative to its permitted content; in other
19 words, how empty is it? So a blue reservoir is
20 essentially full. A dark brown reservoir could be
21 empty. So the lake --

22 Q Tell us where the Highland Lakes are, the lakes
23 that are the primary water supply source for the
24 potential customers you've identified.

25 A Well, I wish I had circled them before we